

US ENVIRONMENTAL PROTECTION AGENCY - REGION 4  
PROPOSED CLEANUP PLAN AND PUBLIC COMMENT PERIOD  
CABOT CARBON/KOPPERS SUPERFUND SITE  
GAINESVILLE, FLORIDA

This Public Information Meeting came to be heard on

DATE: August 5, 2010  
TIME: 6:00 p.m. - 9:00 p.m.  
LOCATION: 3800 Northwest 6th Street  
Gainesville, Florida

As stenographically reported by:  
Cynthia F. Leverett, Court Reporter

**CERTIFIED  
COPY**

- - -

PRESENT ON BEHALF OF USEPA:

L'Tonya Spencer, Community Involvement Coordinator

Scott Miller, Remedial Project Manager

David Keefer, Superfund Remedial Section Chief

Bill Osteen

Kevin P. Koporec

1 MS. SPENCER: My name is L'Tonya Spencer.  
2 I'm the public affairs specialist/community  
3 coordinator for the Koppers site. And I'm with  
4 the United States Environmental Protection  
5 Agency.

6 The meeting tonight is to talk the proposed  
7 plan for the Koppers site. Basically, to talk  
8 about how we're proposing a remedy.

9 A few housekeeping rules. I understand that  
10 you have some people that agree to disagree with  
11 us tonight, but we want to be as respectful as  
12 possible.

13 And we want to let you know that we do have  
14 law enforcement here. And, if someone is asked  
15 to be removed, please go silently. Okay?

16 Second of all, protocol for this, as well, if  
17 you did not sign in, please make sure you sign  
18 in, so that, if you're not on our mailing list,  
19 we can add you to the mailing list for future  
20 mailings.

21 The third thing is, there are people who are  
22 audio and visually recording this meeting. So,  
23 if there's anyone that has an objection to that,  
24 which we don't. As USEPA, we're civil service.  
25 So, we just want to make you aware that the

1 meeting is being taped.

2 And, also, for the comments, the questions,  
3 we do have a court reporter here. So, when we  
4 get to the question-and-answer portion of the  
5 meeting, if you would please state your name and  
6 ask the question clearly, so that we can make  
7 sure we get it on record, we would greatly  
8 appreciate it.

9 Last but not least, this is a part of our  
10 comment period. This is not the only opportunity  
11 that you have to give a comment or to ask a  
12 question. The comment period is continuing after  
13 this meeting. So, our information is in the  
14 proposed plan document. You can send it to  
15 myself, L'Tonya Spencer, or to Scott Miller. Our  
16 email address and mailing address is in the  
17 information.

18 So, if you don't have an opportunity tonight,  
19 please know that there are opportunities  
20 available to you.

21 I'm going to ask that, while Scott is doing  
22 his presentation, if you have a question during  
23 the presentation, Anna Cornelius in the back will  
24 have cards that you can write your question on.  
25 We'd like to be sure that he gets through his

1 whole presentation before we open up question and  
2 answer.

3 So, if you have questions during his  
4 presentation, Anna can give you an index card to  
5 write your question on, so that we can come back  
6 to that.

7 Scott is going to do introductions of  
8 representatives that are here. He's going to  
9 give his presentation, and then we're going to  
10 open it up for question and answer.

11 MR. MILLER: Good evening, and welcome to the  
12 proposed plan meeting for the Koppers portion of  
13 the Cabot Carbon/Koppers superfund site.

14 Latonya's asked me to identify some local  
15 elected representatives. And I notice that Mayor  
16 Lowe is here. I see Commissioner Donavan,  
17 Commissioner Hodgekins. Anyone else present?

18 I know the entire commission is here. I'm  
19 sorry. Those folks in the back, thank you for  
20 coming out this evening.

21 We've got a presentation here that's brief  
22 that allows us to -- it's about 30 minutes, or  
23 maybe less, allows us to take a good bit of time  
24 to hear your comments and views on the proposed  
25 plan.

1       The Koppers portion of the Cabot/Koppers  
2       superfund site is approximately 86 acres in size  
3       and encompasses several operable units.

4       Operable unit one was the Cabot Carbon  
5       property, where remediation was done in 1995 with  
6       respect to excavations. And now there's a  
7       groundwater treatment system actively operating.

8       And there also was a time when the surficial  
9       aquifer system for the Koppers site was installed  
10      and has processed 260 million gallons of ground  
11      water since that time.

12      Koppers, Inc., and its predecessors treated  
13      utility poles at this site from 1969 -- excuse  
14      me, from 1960 to 2009. In March 2010, the  
15      property was purchased by the responsible party,  
16      that's Beazer East, and they contacted us for the  
17      purpose of remediation and for working together  
18      with folks on getting the site readings necessary  
19      out there once the remediation has taken place.

20      Here's the site now. On the left-hand side  
21      of the screen you see where the former Koppers  
22      operation was located, approximately 86 acres in  
23      size. On the right-hand side is the Cabot Carbon  
24      portion, which has since been re-developed.

25      Wood treating processes began in 1960, with

1 the use of creosote to treat utility poles. They  
2 began using pentachlorophenol during the time  
3 period of 1969 until 1990. Copper chromate  
4 arsenate was used from 1990 through 2009.

5 The former north and south lagoons were used  
6 to process waste water. The former north lagoon  
7 was active from 1956 to the 1970's. And the  
8 former south lagoon was active from 1943 through  
9 1976.

10 There's been a number of remedial  
11 investigations at the site, beginning in 1983 and  
12 moving forward. A supplemental remedial  
13 investigation was completed 1989, along with a  
14 base line risk assessment and final feasibility  
15 study to support the 1990 record of decision.

16 Recent ground water investigations from 2003  
17 to 2010 indicated that dense non-aqueous phase  
18 liquids were present in the Hawthorn group, and  
19 that site contaminants are present in groundwater  
20 in the upper Floridan aquifer.

21 EPA participated in the collaborative  
22 feasibility study process with local  
23 stakeholders; the Florida Department of  
24 Environmental Protection; and the responsible  
25 party, Beazer East, from 2007 to 2010. The final

1 feasibility study was issued in May of 2010.

2 There's been significant on-site and off-site  
3 soil and groundwater sampling to characterize the  
4 nature and extent of contamination at the site.  
5 We've done over 350 soil borings, and 1000 soil  
6 samples have been collected and analyzed since  
7 1984.

8 Off-site surface soil sampling is ongoing,  
9 and will continue through the remedial design  
10 process to support the remedial footprint.

11 Groundwater monitoring has been routinely  
12 done since 1984. And there's been over 3100  
13 wells installed and sampled on site.

14 The risk assessment that's been done for the  
15 site, the human health risk assessment, indicates  
16 there are unacceptable risks to on-site workers,  
17 future recreational uses, or current or future  
18 trespassers. So, the site will require  
19 remediation.

20 The ecological risk assessment showed that  
21 there's unacceptable risks of organisms in the  
22 sediments.

23 Contaminants of concern. We define  
24 contaminants of concern to be those things, those  
25 contaminants that exceed safe drinking water,

1 Florida groundwater cleanup target levels,  
2 preliminary remediation goals, which are soils  
3 allowing concentration level for contaminants to  
4 Florida groundwater clean up target levels.

5 The contaminants of concern in the soil are  
6 arsenic, dioxins, polycyclic aromatic  
7 hydrocarbons, pentachlorophenol are above the  
8 soil cleanup target levels of Florida DEP in the  
9 source area and off-site soils.

10 Groundwater contamination of concern in the  
11 surficial aquifer are primarily naphthalene.  
12 Organics are of concern in the Hawthorne group  
13 and the upper Floridan aquifer.

14 Some of the contaminants of concern include  
15 PAH's and dioxin TEQ. Dioxin TEQ is a look at  
16 dioxins -- or a family of contaminants, growing  
17 that up and expressing that as a number in terms  
18 of most toxic dioxin, which is 2378 TCDD dioxin.  
19 So, it's an equivalence factor that's used as  
20 opposed to listing 189 separate contaminants of  
21 the dioxin family.

22 The conceptual site model shows how  
23 conditions and site-related constituents move in  
24 the environment.

25 Primarily, at this site, we have wood



1 treating chemicals that have gotten into the  
2 environment from the former process area, the  
3 former south lagoon, the former north lagoon, and  
4 the former drip track.

5 From the slide, you can see that these areas  
6 were the former -- that's the former north  
7 lagoon, the former south lagoon, the former  
8 process area, and the former drip track.

9 What you've got with respect to groundwater  
10 aquifer to surficial aquifer is a little over 25  
11 feet. The Hawthorne aquifer is down to  
12 approximately 150 feet, and below is the Floridan  
13 aquifer.

14 Site contaminants have come down from  
15 approximately around the source areas, down into  
16 the surficial aquifer, down into the Hawthorne.  
17 And we've got these dissolved phase contaminants  
18 in the Hawthorne, as well as the Floridan.  
19 Groundwater flows from the southwest to the  
20 northeast predominantly.

21 The nature and extent of contamination. The  
22 surface soils on site -- the surficial MCL,  
23 maximum contaminant level, and groundwater  
24 cleanup target levels are exceeding for certain  
25 organisms.

1           There's been PAH hot spots identified in the  
2     five miles of the creek. And in surface water  
3     drainage, there's been exceedances of certain  
4     metals that are associated with wood treating.

5           EPA has been involved in several community  
6     involvement and outreach things, including three  
7     fact sheets.

8           We've been involved in nine public meetings  
9     since 2008. We've worked with the collaborative  
10    FS group; the Florida Department of Environmental  
11    Protection; the Alachua County EPA; the  
12    Gainesville Regional Utilities and their  
13    consultants; and the responsible party, Beaver  
14    East.

15          The feasibility study is a document that  
16    evaluates alternatives to address remediation of  
17    impacted media, and it's based on reasonably  
18    anticipated future land use at the site.

19          What we believe is the expected future land  
20    use at the site is a commercial, recreational, or  
21    mixed use with a residential use component.

22          The FS evaluated ten on-site remedial  
23    alternatives, four off-site remedial soil  
24    alternatives, and three alternatives for the  
25    upper Floridan aquifer.

1 Remedial action objectives drives what we're  
2 trying to accomplish out at the site with respect  
3 to addressing risks that may be present. Those  
4 are the mitigated risks to human health and the  
5 environment proposed by site-related contaminants  
6 in surface soils, groundwater in the surficial  
7 aquifer, the upper Hawthorn group, and the upper  
8 Floridan aquifer, subsurface soils, sediments,  
9 and surface water to prevent further migration of  
10 impacted groundwater, restore groundwater outside  
11 the source area for beneficial use, and reduce  
12 the mobility, volume and toxicity to the extent  
13 it's practical.

14 Key remedial technologies that were examined  
15 as part of the feasibility study for soil  
16 sediment were excavation, capping, barrier wall,  
17 monitoring actual recovery.

18 With respect to groundwater, we identified  
19 in-situ solidification and stabilization, in-situ  
20 biogeochemical stabilization, hydraulic  
21 containment, pump and treatment.

22 In-situ solidification and stabilization is a  
23 use of a solidification agent to mix with soil to  
24 freeze, in effect, contaminants from getting into  
25 groundwater.

1 In-situ biogeochemical stabilization is the  
2 use of inserting a manganate solution with  
3 catalysts to react and to -- when it comes into  
4 contact with organics -- actually, the organics,  
5 it changes them into an insoluble precipitate.

6 Hydraulic containment is the use of pumping,  
7 to take groundwater that's contaminated, and  
8 treat it.

9 Chemical oxidation is the use of chemicals,  
10 such as manganate, to change the nature of the  
11 chemical that's there, and make it something that  
12 is not toxic.

13 DNAPL recovery is the recovery of dense  
14 non-aqueous phase liquids from the environment  
15 through manual or through pumping techniques.

16 Monitored natural attenuation is the use  
17 of -- or the environment's natural processes that  
18 remove or reduce site-wide contaminants.

19 As part of the FS, we did evaluate 10  
20 different options, 10 comprehensive remedies to  
21 address soils on site, off-site, groundwater,  
22 sediment, and surface water.

23 For on-site remedial alternatives, we looked  
24 at several options, ten options in total, of  
25 which nine meet the -- several were based on

1 removal, and that is the concept of removing soil  
2 and treating it on-site and returning it to its  
3 place. That was evaluated in the surficial  
4 aquifer, as well as to the middle clay, which is  
5 the middle Hawthorne clay. That's something that  
6 is distinct and separate.

7 In addition, these alternatives include the  
8 use of surface covers and capping on site to  
9 prevent contact with soils that are in excess of  
10 the soil cleanup target levels.

11 In-situ treatment, solidification and  
12 stabilization to the middle clay was evaluated.

13 In-situ treatment, solidification and  
14 stabilization, and biogeochemical stabilization  
15 was also evaluated.

16 Containment and treatment with a barrier wall  
17 were also included in several of these on-site  
18 options above.

19 And, as you go down the line, what you get is  
20 something that is more and more treatment-based,  
21 in that, in every aquifer, there is a treatment  
22 technology that's evaluated for application.

23 That's in the surficial, upper Hawthorne, lower  
24 Hawthorne, and upper Floridan aquifer, as well as  
25 off-site.

1           We split out the upper Floridan remedial  
2 alternatives. The upper Floridan is a very  
3 important resource. It is the resource for  
4 drinking water for this area of Gainesville.

5           We evaluated the no-action alternative, as  
6 required by the statute. We also evaluated  
7 hydraulic containment, and coupled that with  
8 monitored natural attenuation, which is the use  
9 of natural processes to reduce site  
10 contamination.

11           For off-site remedial alternatives, we  
12 evaluated no action, removal of impacted soil,  
13 institutional and engineering controls, being  
14 that use of engineering controls such as a cap,  
15 driveway, et cetera, in a voluntary process  
16 between a property owner and a responsible party  
17 that's available under the State of Florida  
18 regulations.

19           And then we also evaluated a hybrid concept,  
20 including removal, institutional controls, and  
21 engineering controlled hybrids in combination.

22           When EPA looks at evaluating remedial  
23 alternatives, we have nine different criteria  
24 under the national contingency plan regulations  
25 that we look at.

1           We have two that we call threshold criteria.  
2   And if these alternatives are not -- if they  
3   don't meet these two, then we don't further  
4   consider them for evaluation.

5           And those two threshold criteria are, it has  
6   to protect human health and the environment,  
7   number one. And, number two, it has to meet all  
8   applicable laws and regulations.

9           Balancing criteria are what we look to when  
10   we're looking at evaluating one set of remedial  
11   alternatives against another. Long-term  
12   effectiveness, implementability, the reduction of  
13   toxicity, mobility or volume, short-term  
14   effectiveness, and cost are part of the  
15   evaluation.

16           With respect to modifying criteria, which is  
17   the other two, we look to the support of the  
18   state agencies and community acceptance to  
19   possibly vary what may be a preferred alternative  
20   as we move forward.

21           We looked at long-term effectiveness. And  
22   that's the ability of the real option that's  
23   chosen to, over the long haul, to continue to  
24   meet the requirements with respect to not having  
25   to come back and revisit a site.

1       We look at implementability, and that's  
2       simply how quickly and how thoroughly something  
3       can be done.

4       We look at the reduction of mobility,  
5       toxicity and volume. You can see how we  
6       evaluated those for the on-site alternatives, the  
7       short-term effectiveness. And cost also plays a  
8       role.

9       EPA's preferred remedial alternative is  
10      on-site remedial option 5C, with elements of 5F.  
11      And what that means is a vertical barrier wall  
12      encompassing all four source areas, drilled to  
13      the Hawthorn clay layer, on-site soil that  
14      exceeds the commercial and industrial SCTL's.

15      (Inaudible comments made by audience  
16      members.)

17      MR. MILLER: Okay. It's the vertical barrier  
18      wall encompassing all four source areas to the  
19      Hawthorn clay layer; on-site soil that exceeds  
20      the commercial and industrial SCTL's.

21      It will be addressed by both soil-  
22      consolidation cap inside the vertical barrier  
23      wall and a soil cover outside of the vertical  
24      barrier wall. It would be an on-site surface cap  
25      that covers approximately 83 of 86 acres.



1 In-situ biogeochemical stabilization treatment in  
2 the surficial aquifer zone at the four source  
3 areas, surficial groundwater extraction at the  
4 four source areas, and an eastern boundary until  
5 the ground water cleanup target levels of  
6 Floridan are met.

7 It also requires solidification,  
8 stabilization in the upper Hawthorn at the four  
9 source areas. Targeted chemical oxidation  
10 injections to existing wells in the lower  
11 Hawthorn group, remove the source area footprint,  
12 chemical oxidation wells installed and dedicated  
13 at the eastern boundary, as well as an on-site  
14 surface water retention base.

15 For the upper Floridan, we chose the  
16 hydraulic containment and monitored natural  
17 attenuation to address areas of the upper  
18 Floridan that are on the site that have  
19 constituents in excess of cleanup target levels.

20 We chose off-site remedial option 4, which is  
21 to remediate the most stringent standard  
22 consistent with current land uses. So, if  
23 there's currently a residence there, it would be  
24 remediated to residential Florida SCTL's, soil  
25 cleanup target levels. If there's a commercial

1 venture there, then it will remediated to those  
2 levels.

3 Off-site in the creek sediments, we'll  
4 remediate to the probable effect concentration  
5 level. That will be hot spot removals of  
6 sediments in Hogtown and Springstead Creeks, with  
7 modern natural recovery to where there's no  
8 threshold effects until we reach the threshold  
9 effect concentration or background.

10 In addition, we'll also have institutional  
11 controls on the sites that will dictate what to  
12 be done with respect to groundwater and site use  
13 over time. This is a pictorial of that.

14 The surficial aquifer here, we're proposing  
15 to institute biogeochemical re-stabilization  
16 injected here to 25 feet. Site consolidation,  
17 with surface cover areas throughout the site.

18 A slurry wall that runs from the site surface  
19 to the middle Hawthorn clay layer, treatment  
20 inside the four source areas, stabilization and  
21 solidification in these areas.

22 In the lower Hawthorn, chemical oxidation  
23 injections in the lower Hawthorn.

24 And in the Floridan, extraction of  
25 groundwater with contaminate levels greater than

1 the Florida groundwater cleanup target levels.

2 There's an over-fly view of the same thing I  
3 just went over. It's coming over the surface.

4 And with that, I'll open up for questions.

5 MS. SPENCER: We're going to start the  
6 question-and-answer period. And, Robert, you can  
7 do your presentation. I'm sorry I don't have the  
8 visual opportunity for you to show it, but you  
9 can feel free to come to the mike and discuss  
10 your comments.

11 Just so you'll know, after Robert finishes  
12 his comments and presentation, we have a list of  
13 people that I'm going to call.

14 I'd ask that you keep your comments short so  
15 that we can open it up to other people in the  
16 audience that would like to make a comment or ask  
17 a question.

18 So, as soon as Robert finishes, I'll call  
19 down the list, and then we'll open it up for  
20 people in the audience to listen to your comments  
21 and to ask questions.

22 ROBERT PEARCE: My name is Robert Pearce.  
23 I'm speaking only for myself. I've been working  
24 with Protect Gainesville Citizens. As I had to  
25 interrupt, I apologize, some of you have a four-

1 sheet set of diagrams that were part of the Power  
2 Point presentation that I had asked to be able to  
3 present, but I was told no. So, at the last  
4 minute we printed some copies, we printed a  
5 hundred copies. Thank you, Diedre. But I wish  
6 we'd printed, maybe, like 200.

7 I'm going to try to give a little bit of an  
8 overview. I live in the Stephen Foster  
9 neighborhood. And Springstead Creek runs through  
10 my back yard.

11 The remedy in the proposed plan is not the  
12 type of remedy the community wants, which is a  
13 cleanup, rather than a cover-up. I'm sorry that  
14 wasn't illustrated a little bit better. This  
15 diagram does illustrate it a little bit better.  
16 I'll get into that.

17 It will adversely impact the long-term  
18 economic health and vitality of surrounding  
19 neighborhoods. It will continue to threaten the  
20 regional drinking water supply, and it will not  
21 accommodate the future uses desired by the  
22 community.

23 If the site was far removed from civilization  
24 and the wellfield, using covers and caps might be  
25 an appropriate remedy. But the site is

1 integrated well within the developed area of the  
2 city. It shares a three-quarter mile long  
3 boundary with a residential neighborhood, and it  
4 is directly upgrade from the Murphy wellfield.

5 The contaminated soils throughout the site  
6 should, therefore, be excavated and appropriately  
7 disposed and/or excavated and cleaned, on or off  
8 site, and be replaced. But the site, itself,  
9 should not be used as a hazardous waste  
10 landfill.

11 The Beazer-Koppers alliance is responsible  
12 for contaminating the land and the Springstead  
13 and Hogtown Creek ecosystems for almost 100 years  
14 with impunity. They are guilty of unconscionable  
15 environmental disrespect and abuse, which  
16 continued almost for 30 years, even after being  
17 placed on the national priorities list as a  
18 superfund site. And they are responsible for  
19 stigmatizing the surrounding neighborhoods for  
20 decades.

21 It's time the responsible parties are held  
22 accountable. And EPA should require a proper  
23 cleanup, not just a cover-up, which is what this  
24 plan is.

25 The groundwater is most threatened by the

1 heavily contaminated soils deep within the four  
2 primary source areas. The remedy should,  
3 therefore, significantly reduce toxicity and  
4 volume of the contaminants.

5 Much of the contamination is believed to lie  
6 within the surficial aquifer above the Hawthorn  
7 group clay layer. At minimum, the source areas  
8 should be excavated at least down to the upper  
9 clay in conjunction with a slurry wall and  
10 demonstrated proven in-situ remediation at lower  
11 levels.

12 If discovery warrants, the source areas  
13 should be excavated to the middle clay.  
14 Excavation to the upper clay could be  
15 accomplished within a moderate time frame, and it  
16 will eliminate a great majority of the threat to  
17 the wellfield.

18 The surface soils both inside and outside the  
19 source areas are also severely contaminated, and  
20 also to unknown depths and quantities.  
21 Contaminants have been dripping and leaking onto  
22 these soils unrestrained and with no  
23 containment.

24 Soil testing has shown dioxin levels up to  
25 13,000 times higher than Florida residential soil

1 standards even well away from the four primary  
2 source areas. And, yet, EPA's proposed surface  
3 soil remedy is to surficially scape an un  
4 specified amount of soil to a non-specific depth  
5 outside the primary source areas, that's the  
6 green area. We produced these diagrams, too, by  
7 the way, not EPA. I lost my place here.

8 All right. Dump those scrapings into a  
9 30-acre corral sitting on top of the even more  
10 contaminated source areas -- that's this area --  
11 capping the pile, and covering the scraped area  
12 with some top soil.

13 EPA's soil cleanup at the surface would be to  
14 commercial/industrial target levels, and the  
15 contaminated soil below the covering would remain  
16 unremediated. This is not an appropriate cleanup  
17 remedy for a 90-acre piece of land setting in the  
18 middle of the city.

19 A proper surface soil remedy would be to  
20 Florida default residential soil cleanup target  
21 levels over as much of the site as possible,  
22 rather than the proposed commercial/industrial  
23 target levels, which are four to twelve times  
24 higher, and which would restrict residential  
25 uses. And soil should be cleaned thoroughly and

1 as deeply as necessary to remove contaminants,  
2 not just a superficial scrape and a cover-up.

3 A proper remedy will result in a clean site,  
4 will eliminate the long-standing stigma  
5 associated with the site, and will correspond  
6 with the types of future uses desired by the city  
7 and community, which the proposed remedy does  
8 not.

9 The community's input is supposed to play a  
10 crucial role in the decision-making process on  
11 superfund sites. EPA is required to vigorously  
12 engage and integrate the community throughout the  
13 remedial process, and is required to place heavy  
14 emphasis on community input in the selection of  
15 the cleanup remedy.

16 EPA has been severely deficient in following  
17 both federal law and its policy directives in  
18 this regard.

19 EPA is required to establish a community  
20 involvement plan as soon as possible after a site  
21 is placed on the national priorities list. And  
22 EPA is required to update and revise that plan  
23 every three years, which never happened.

24 The community involvement plan process  
25 identifies the community's desired remedies and



1 desired future uses for the site.

2 EPA is charged to protect human health and  
3 the environment. Together, with guidance from  
4 the community, are intended to drive the remedy  
5 selection, but that did not happen. Instead, EPA  
6 made its remedy selection in a virtual vacuum.

7 MS. SPENCER: One minute, Robert.

8 ROBERT PEARCE: Koppers was placed on the  
9 national priorities list in 1984. According to  
10 the administrative record, EPA drafted one  
11 community involvement plan in 1989. The  
12 community involvement plan is intended to be an  
13 integrated and active program throughout the  
14 process from the actual placement on the NPL to  
15 its deletion.

16 According to the administrative record, EPA  
17 has not updated or revised the community  
18 involvement plan since 1989, 21 years ago. And  
19 it wasn't until last month that EPA initiated a  
20 new community involvement plan, just one week  
21 prior to the announcement of the selected  
22 remedy.

23 EPA's policy directives emphasize the  
24 community's desired future uses and remedy  
25 selection. Re-use is inexplicably tied to the

1 cleanup remedy, which must be protective of  
2 future uses.

3 In 2008 the Gainesville City Commission  
4 passed a resolution stating the site should be  
5 cleaned to Florida residential soil cleanup  
6 target levels. And, yet, EPA's proposed plan  
7 states, quote, the selected cleanup goals are for  
8 the commercial/industrial soil cleanup target  
9 levels for on-site soil sediments.

10 In early 2010, the Gainesville City  
11 Commission initiated a land use change petition  
12 with strong emphasis on desired future  
13 residential uses on the site. And, yet, EPA's  
14 feasibility study states, quote, on-site  
15 residential exposure scenarios are not applicable  
16 based on the expanded commercial/industrial  
17 and/or recreational use of the property.

18 MS. SPENCER: Robert, your time's up.

19 (Inaudible comments made by audience  
20 members.)

21 MS. SPENCER: Okay. I just want you to know  
22 that we're on a time constraint. He can finish  
23 by your suggestion.

24 All right. Finish, Robert.

25 ROBERT PEARCE: And so that there is no

1 misunderstanding, when EPA mentions future  
2 recreational uses, recreational uses are  
3 associated with commercial/industrial cleanup  
4 target levels because risk of exposure to  
5 contaminants is theoretically less than  
6 residential uses.

7 All of this has lead to a proposed plan with  
8 an inappropriate remedy. And it makes a sham out  
9 of what Congress intended to be an integrated  
10 community-guided remedial endeavor.

11 Although everyone is anxious to begin the  
12 remedial process, the remedial actions that are  
13 taken need to prove an actual cleanup.

14 The record of decision should put on hold and  
15 EPA should provide a proposed plan that actually  
16 corresponds with the type of cleanup the  
17 community wants and with the types of uses the  
18 community wants.

19 Thank you for your time.

20 MS. SPENCER: The next person to give comment  
21 will be Claire Marcussen.

22 UNIDENTIFIED AUDIENCE MEMBER: I'd like to  
23 point out that Mr. Pearce spoke for more than ten  
24 minutes.

25 MS. SPENCER: It's noted. But it was at the

1 request of more than one person.

2 UNIDENTIFIED AUDIENCE MEMBER: I request  
3 everyone get more than ten minutes. Anyone  
4 second that?

5 CLAIRE Marcussen: I'll get started, so  
6 everybody has a chance.

7 My name's Claire Marcussen. I've lived in  
8 Gainesville since 1988. I'm an environmental  
9 consultant, and I have 20 years of superfund  
10 experience. And I'm assisting the technical team  
11 and the citizens group to understand some of the  
12 issues at the site.

13 Specifically, I have concerns regarding the  
14 target cleanup levels supplied to the site. The  
15 preferred remedy is supposed to be supported by  
16 evaluations completed previously in the FS.

17 Although it is deemed final, the FS does not  
18 provide summary tables of cleanup goals in soil  
19 sediment and groundwater. This is required,  
20 according to EPA guidance.

21 The soils, the FS only states that, upon  
22 completion of the remedy, post cleanup risks will  
23 be estimated to see if they meet the Florida  
24 target risk level of 10 to -6.

25 For groundwater, the FS references a summary

1 table of cleanup levels. However, this table,  
2 2-4, is not included in our administrative file.

3 As a result of these inconsistencies, it's  
4 very unclear how the various remedies could even  
5 be screened and evaluated properly. So, the  
6 cleanup levels were not identified as a basis for  
7 estimating the amount of cleanup at the site.

8 It appears that the proposed plan attempted  
9 to address these deficiencies by including a  
10 table of cleanup levels. For on-site soils and  
11 sediment, this table indicates that there's three  
12 possible cleanup levels for each chemical, to  
13 include the Florida default industrial/commercial  
14 cleanup levels, default leachability levels, or  
15 the possible application of site specific  
16 leaching data. However, the table has only one  
17 column of numbers, without specifying which of  
18 the three cleanup levels these numbers  
19 correspond.

20 Upon a more detailed review of this table,  
21 several errors were noted. None of these levels  
22 for on-site soil represent leachability levels.  
23 Some of the levels are residential levels for  
24 some of the chemicals, but the remaining  
25 chemicals having only industrial levels.

1       As a result, it's very unclear of the  
2 applicability of these values to each remedy,  
3 since they have never been discussed with respect  
4 to the documentation of the remedies to date.

5       Let me give you an example of our confusion.  
6 As Robert was pointing out, in the green area on  
7 this figure, it's unclear how much of the green  
8 area soils will be removed, if any, as a figure  
9 has not been included in the FS to illustrate how  
10 deep or wide the soil contamination is relative  
11 to the cleanup goals.

12       The only figure presented in the FS is Figure  
13 1-9, which is right here. This figure shows  
14 average soil concentrations for three compounds  
15 in only shallow surface soil, and does not  
16 address subsurface soil.

17       Based on this figure, it appears that a vast  
18 majority of the surface soils exceed cleanup  
19 goals for commercial and industrial use across  
20 the entire site.

21       Since Florida's residential cleanup goals are  
22 far more stringent, the current planned cleanup  
23 will not be protective of future residential use  
24 of the property, thus, you need to restrict the  
25 property. This limits the use of the property.

1        Finally, EPA has classified nationally one of  
2        the main chemicals that was used at the site as a  
3        carcinogenic via breathing, inhalation, back in  
4        September of 2008. This was not considered in  
5        the risk assessment or in the selection of  
6        cleanup goals. This oversight results in less  
7        protective cleanup levels in soil and groundwater  
8        for this chemical.

9        In addition, this issue may have implications  
10       for areas where currently you may focus only on  
11       the leaching, when, in fact, maybe vapors are a  
12       problem.

13       Due to the lack of clarity in the FS with  
14       respect to the different types of cleanup levels,  
15       the basis for each remedy and the preferred  
16       remedy are unsupported.

17       To be fully transparent, an evaluation of  
18       soil sediment remedies using all three cleanup  
19       levels, as well as residential levels, should be  
20       conducted to demonstrated that they are  
21       protective of human health and the environment  
22       under the different land use scenarios. Note,  
23       this is also required to ensure the maximum  
24       beneficial use of the site.

25       So, in conclusion, the public requires

1 answers to the following questions with respect  
2 to the proposed plan. And I will hand you this,  
3 so you have it.

4 How does EPA intend to correct the errors  
5 noted and clearly communicate in the public  
6 documents what cleanup levels were used for each  
7 medium; how these cleanup criteria were used to  
8 estimate the amount of contamination that needs  
9 to be cleaned up; how and where each remedy will  
10 achieve the various cleanup levels, as this has  
11 not been presented in the FS or the proposed  
12 plan. And, finally, how will you demonstrate  
13 that, once you do clean up, that the cleanup has  
14 actually achieved those cleanup levels?

15 Thank you.

16 MS. SPENCER: At this time we're going to ask  
17 the mayor of Gainesville, Craig Lowe, to come and  
18 speak.

19 CRAIG LOWE: Thank you. I'd like to thank  
20 everyone for being here. I would like to point  
21 out that, actually, tonight is a regularly  
22 scheduled city commission meeting on a schedule  
23 that we set up over two years ago. We did  
24 actually take a long recess in order to be here  
25 tonight.



1           Unfortunately, we do have to return to city  
2   hall in not too long, because we do have items  
3   that we cannot put off on our agenda.

4           We did actually notify EPA of our regular  
5   meeting scheduled, and did request a rescheduling  
6   of this particular meeting, but that was not  
7   granted.

8           The City of Gainesville is in the process of  
9   reviewing the proposed remediation plan, and  
10   staff does have serious concerns, and we will be  
11   filing the detailed objections, and we are  
12   listening to the community's concerns.

13          We have filed for all 60-day extension for  
14   the public comment period. We have received a  
15   30-day extension. And we will be seeking another  
16   30-day extension of the public comment period.

17          I will be asking for a continuation of  
18   tonight's meeting, because, as you see, we have a  
19   large number of citizens here who would like to  
20   voice their concerns. And I'm sure that the  
21   allotted time will not be able to accommodate all  
22   of those comments. And we would hope that the  
23   continuation would be at a time when elected  
24   officials can hear the concerns of their  
25   citizens.

1        Again, I would like to thank everyone for  
2        being here. And, hopefully, we can work together  
3        in letting the Environmental Protection Agency  
4        know about our concerns with the plan and work  
5        constructively to resolving these issues.

6        Again, thank you so much for being here.

7        MS. SPENCER: The next person will be David  
8        Pace.

9        DAVID PACE: My name is David Pace. I've  
10       been a resident of the Steven Foster neighborhood  
11       for over 15 years. I've been attending these  
12       meetings for over a decade. It is not at all  
13       clear to the public or to myself how the proposed  
14       remedy will actually reduce the mobility,  
15       toxicity or volume of the contamination at the  
16       site. Those are EPA's words in your mission.

17       More specifically, the two technologies that  
18       are indicated for the source areas, the most  
19       heavily contaminated areas with the DNAPL, which  
20       is this goo of creosote and all this other toxic  
21       junk, the two technologies, ISBS and ISS -- and  
22       note, the "BS" is appropriate in both contexts.

23       I want to know how the EPA can demonstrate to  
24       the community that these are proven  
25       technologies. How they will provide safe, long-

1 lasting, and permanent remedies? How will they  
2 actually reduce the amount and the mobility of  
3 the toxicity of the contaminants on the site?

4 I've done a brief review of the literature.  
5 And, from what I can tell, these are new  
6 technologies without any proven track record.  
7 Actually, during the joint city/county commission  
8 meeting in April, an expert witness testified  
9 that there's no scientific evidence that these  
10 are proven to reduce the downward mobility of the  
11 DNAPL compounds, and shook his head when he  
12 looked at one of the proposed remedies on the  
13 feasibility study.

14 So, it's my contention that we really need to  
15 re-examine these two technologies and demonstrate  
16 scientifically that they will protect the  
17 citizens from the downward migration of DNAPL  
18 compounds into the Hawthorn layers, which are  
19 like a big sponge. They're not exactly a clay  
20 layer. They're like a sponge, which is setting  
21 right above the Floridan aquifer.

22 So that is my contention, and I would like a  
23 response.

24 MS. SPENCER: You want a response today?

25 DAVID PACE: Yes.

1 MR. MILLER: Well, with respect to -- you  
2 went through a lot, Mr. Pace.

3 With respect to in-situ solidification, it's  
4 been a demonstrated technology. It's been in use  
5 for over 20 years on sites that have not only  
6 been cleaned by other parties other than EPA, but  
7 also by EPA. It's in use.

8 In-situ biogeochemical stabilization is a  
9 relatively new technology that's been piloted at  
10 this site, as well as other sites. It's been  
11 used at one site, a Denver Koppers plant, former  
12 Koppers plant in Denver, Colorado, where it has  
13 been shown to reduce, scientifically to reduce  
14 those contaminate concentrations.

15 But, Mr. Pace, that brings up a good point.  
16 We don't simply install or have installed these  
17 technologies. We require that they be  
18 demonstrated prior to their installation.

19 That proposed plan document is a large piece  
20 of work. And if you go and look in that, you  
21 will see in the plan, itself, for both of those,  
22 there's a required performance test prior to both  
23 of those being implemented at the site.

24 In addition, there will be continual  
25 groundwater monitoring nearby these

1 technologies. And we will see over time if,  
2 indeed, it does reduce the contamination there.  
3 In the past, it most certainly has through  
4 in-situ solidification, and that has been  
5 demonstrated over time.

6 UNIDENTIFIED AUDIENCE MEMBER: Has it been  
7 demonstrated where the aquifer is setting right  
8 below a contaminated clay layer and contaminants  
9 are seeping down? That's my question.

10 MR. MILLER: It has been demonstrated in that  
11 exact situation in the southeast.

12 UNIDENTIFIED AUDIENCE MEMBER: What  
13 particular site?

14 MR. MILLER: Brunswick Wood is one. I tell  
15 you what. We can provide you specific sites.  
16 That's a reasonable question.

17 MS. SPENCER: The next person to speak is  
18 Diedre Bryan.

19 DIEDRE BRYAN: I have a question. It's about  
20 that land use thing. It's my understanding that  
21 citizens and the city commission have repeatedly  
22 expressed their preference for residential land  
23 use soil cleanup levels. And you've got, in your  
24 proposal, commercial/industrial.

25 So, why did you choose that one, when you're

1 supposed to get all this community input, and you  
2 seem to ignore it?

3 So, if you could explain how you chose that  
4 commercial/industrial use.

5 MR. MILLER: Okay. Ms. Bryan, let's address  
6 that. For starters, there are terminologies used  
7 that are different in the environmental field  
8 versus the zoning field, or the land use field.

9 Okay. Residential use means unrestricted use  
10 in the environmental world. So, when you say  
11 unrestricted use, this is virtually no hazardous  
12 waste site around that has unrestricted use. And  
13 that's what that terminology means in the  
14 environmental world. Okay?

15 So, if you're speaking to the standard, what  
16 we look at in the standard, when we make this  
17 determination, is we look at anticipated future  
18 land use based on what's happened there, and some  
19 other criteria with guidance that I'll be more  
20 than happy to provide you when we look at making  
21 those types of decisions.

22 But what we're not saying with respect to  
23 that is that that site cannot be used in some  
24 form or fashion for residential use in the  
25 future. And, in fact, there are many sites that

1 have been cleaned up to commercial/industrial  
2 standards, where there's been exposure barriers  
3 deployed at the site, and there's now residential  
4 use. Okay? People live there. Townhomes. That  
5 would be also appropriate for this site.

6 DIEDRE BRYAN: But why did you use  
7 industrial, when we know that's not what anyone  
8 wants?

9 MR. MILLER: What we do is look at a set of  
10 criteria based on, among other things, what the  
11 folks who own the land say they're going to look  
12 to use it for in the future. We also look at  
13 other criteria.

14 But one of the things that has not been  
15 thought of and is not being planned for in the  
16 future by the current site owner is unrestricted  
17 residential use, three-bedroom, two-bath houses  
18 with no restrictions whatsoever. And I think the  
19 reality of it is, is there's not a big demand for  
20 unrestricted residential use on a former  
21 industrial site. And --

22 DIEDRE BRYAN: (Inaudible.)

23 MR. MILLER: I think what she asked was could  
24 you do residential with limited restrictions.

25 DIEDRE BRYAN: Minimal. I'm sorry.

1 Minimal.

2 MS. SPENCER: Do you have another question  
3 before I go on? Okay.

4 I'm going to call one more person off of this  
5 list, and then I'm going to open it up to  
6 everyone else, and then I'm going to come back to  
7 the list so that it can be fair and equitable for  
8 everyone to respond.

9 The next person is Jerry Steinberg.

10 JERRY STEINBERG: My name is Jerry  
11 Steinberg. I'm an environmental engineer with  
12 Water and Air Research, a local environmental  
13 consulting firm. And, as a matter of fact,  
14 there's about four environmental people from  
15 Water and Air Research here tonight.

16 I'm a licensed professional engineer in  
17 Florida, and have worked at superfund and regular  
18 sites over much of my 30 years as an  
19 environmental engineer consultant.

20 I'm a member of the technical team that is  
21 assisting the citizens group. And I've been  
22 involved with the group only since last week.  
23 So, recognizing, folks from the EPA, that I  
24 really haven't had a lot of time, I am going to  
25 throw a few comments and questions at you.



1           The time is limited. I want to give other  
2 people time to speak. But I'm trusting that the  
3 answers to these questions will be coming forth  
4 during the comment period.

5           The next comments that I'm going to make  
6 address the soils above the Hawthorn. Basically,  
7 in the surficial aquifer. It is not clear  
8 whether or not all soils at the site will be  
9 required to meet ARAR's.

10          I'm going to use a lot of acronyms to get  
11 through this. And I apologize if I lose a few  
12 people. But the folks up front should understand  
13 the questions.

14          Does the plan require that all soils not  
15 contained within the blue area here, in other  
16 words, in the green area, are going to meet  
17 ARAR's? Or might there be soils above ARAR's  
18 left without any active remedial action?

19          There seems to be more information provided  
20 by soil cleanup in the blue area than in the  
21 green area.

22          While I've only been working on this matter  
23 for a few days, I looked briefly in the  
24 feasibility study for a clear depiction or  
25 picture of soil contamination in the green area

1 and I did not find much information.

2 For example, I would've expected sketches of  
3 contaminant concentration, isopleths at several  
4 depths.

5 So, having reviewed the proposed plan and  
6 briefly looking at the feasibility studies, I  
7 can't tell how the soils in the green area will  
8 be cleaned up.

9 Is there a description or depiction of soils  
10 above ARAR's in three dimensions for the green  
11 area in the feasibility study?

12 Are there engineering calculations of volume  
13 of soil not meeting ARAR's? What is the remedial  
14 strategy for these soils?

15 Again, addressing soils at the site. I  
16 cannot tell how much attention was given to  
17 on-site treatment of soils above ARAR's. While I  
18 saw mention of this remedial approach in the  
19 feasibility study, where it was identified as a  
20 viable option, I did not find any engineering  
21 calculations of soil volumes and costs that could  
22 be treated on site, that soils could be treated  
23 on site and replaced there. Were such  
24 calculations and costs derived? Were they  
25 derived respectfully for the green areas and

1 again for the blue areas? Were they based on  
2 testing results showing soils above ARAR's? And,  
3 if so, can you provide these calculations and  
4 costs?

5 The preceding question specifically addressed  
6 on-site treatment of soils. We have not had  
7 sufficient time to fully review the evaluation of  
8 other technologies that may have been excluded.  
9 In other words, I've sort of tried to look at  
10 what might not have been considered in the  
11 feasibility study, but time has been a  
12 limitation.

13 It is important that those technologies that  
14 may more aggressively treat the waste or actually  
15 reduce the volume or mass of contamination be  
16 fully considered with respect to all feasibility  
17 criteria.

18 Technologies that achieve the most reliable  
19 and permanent solution, especially with respect  
20 to future land use objectives, must be thoroughly  
21 evaluated prior to the plan acceptance.

22 The criteria in the plan for what will guide  
23 cleanup of soil is not easy for me to  
24 understand. At one place I believe I read that  
25 soil ARAR's will be no less stringent than State

1 of Florida soil cleanup target levels.

2 So, the question is: Is that correct? Are  
3 the leachability SCTL's applied as a cleanup  
4 criteria to all soil contamination at the site if  
5 it is the lowest ARAR?

6 There is a recognition that certain types of  
7 contamination, if taken off site, must be managed  
8 at a hazardous waste facility. The plan is not  
9 clear whether all the contaminated soil taken off  
10 site must be managed as hazardous waste.

11 What does the feasibility study specify as  
12 the requirement for soils in the blue area versus  
13 the contaminated soils in the green area? How  
14 did or would different requirements affect the  
15 engineering cost estimates?

16 Now, quickly switching over to deeper  
17 groundwater soils. Deeper soils in the  
18 groundwater contamination above the Floridan  
19 aquifer, it appears that the preferred remedy  
20 includes the use of stabilization and ISBS. I'd  
21 like to more comment, and hopefully we'll get a  
22 little bit more comment, on the effectiveness and  
23 performance of the ISBS. We've just had some of  
24 that.

25 But, more importantly, what I did not hear in

1 the response to the lady's comment earlier was  
2 how do you plan to monitor to determine its  
3 effectiveness, and what data will be gathered to  
4 enable the final remedial action implementation?

5 The plan states that the Florida Department  
6 of Environmental Protection supports the  
7 preferred alternative. I believe we have some  
8 FDEP representatives here. So, I'll be  
9 addressing you for just a minute.

10 The citizens group would like to learn more  
11 about the FDEP technical review, and specifically  
12 the FDEP environmental engineer's and  
13 hydrogeologist's comments on the feasibility  
14 study. Where can the details of the FDEP  
15 engineer's and geologist's reviews and comments  
16 be found?

17 And my last comment is, the proposed plan  
18 document seems vague, or at best uncertain, with  
19 respect to how soils and groundwater will be  
20 cleaned up to meet all the ARAR's.

21 A record of decision must be a more detailed  
22 decision document and much less a list of things  
23 that might be done. And that record of decision  
24 really must be based on evaluations completed in  
25 prior studies like the feasibility study.

1           It's really not possible for the affected  
2 parties and the stakeholders to effectively  
3 comment on the acceptability of the remedies  
4 without this additional detail.

5           Thank you.

6           MS. SPENCER: Before we move forward, Scott,  
7 I don't know whether or not you want to address  
8 at least one or two of those questions. I'm not  
9 sure you can address all of them tonight.

10          (Inaudible comments from the audience  
11 members.)

12          MS. SPENCER: Okay. Well, what we're going  
13 to do is, I have a list for the Protect  
14 Gainesville's Citizens Group. And I promise that  
15 I'm going to allow each of you an opportunity to  
16 speak. But I do realize that there are people  
17 here who are not a part of Protect Gainesville's  
18 Citizens that may want the opportunity to speak.  
19 So, I'm going to call a couple that have given me  
20 cards, and then I'm going to get back to the  
21 list. And then I'm going to go back to those  
22 people that are not on this list. Is that fair  
23 enough?

24          Stephen Boyes.

25          STEPHEN BOYES: I'm Stephen Boyes,

1 Geosolutions. I'm a hydrogeologist. I've worked  
2 in the Gainesville area for a long time.

3 A few questions I have, or concerns I have,  
4 is cut straight to the model. The clays are  
5 indicated to be continuous on the models.  
6 They've consistently indicated that, yet they're  
7 not.

8 I've raised this concern at numerous  
9 meetings, and they still continue to be  
10 represented in the documents, in the designs, as  
11 being continuous across the site. These are  
12 lenses that are discontinuous, they're not  
13 connected.

14 GRU in its excavation on South Main Street  
15 has gone through the top of that first clay, and  
16 it's not there in some of the places on site.  
17 It's discontinuous. These are lenses that are  
18 not connected. That applies also to the second  
19 clay bed.

20 In Florida we have licensure requirements for  
21 engineers and geologists. Geologists are  
22 required, when they present something like this,  
23 to put their seal on it. And, in order to submit  
24 plans to the State of Florida, an assessment  
25 requires sealing by professionals, as well as

1 design plans for environmental cleanups that  
2 require professional engineers. I've seen no  
3 professional seals on any documents developed for  
4 work on this site.

5 That pretty well covers it, other than the  
6 one question I have. How much money is available  
7 from Beazer to clean up this site?

8 MS. SPENCER: Okay. Jeanette Hinsdale.

9 UNIDENTIFIED AUDIENCE MEMBER: Do we get an  
10 answer?

11 MS. SPENCER: Scott, do you have an answer at  
12 this time for the last question?

13 MR. MILLER: You asked me how much money that  
14 Beazer East has for the cleanup? I don't know  
15 that. We don't address that. We just specify  
16 cleanup.

17 JEANETTE HINSDALE: Good evening. My name is  
18 a Jeanette Hinsdale. I'm a lover of Alachua  
19 County. And I thank everyone for being here  
20 tonight.

21 There's no heavier burden than the great  
22 potential. And I don't think this plan is heavy  
23 enough to deal with the potential that we have to  
24 offer.

25 This plan is addressing the Koppers, not the



1 Cabot site. And there's 1989 CIP, Community  
2 Involvement Program, the Citizen Involvement  
3 Program, that state citizens' concerns relating  
4 to the creek. They're also talking about the  
5 shopping center parking lot, the auto dealership,  
6 as well as the impact on the creeks that goes  
7 beyond this site. And we're 20 years later.  
8 There's actually documentation of this CIP. And  
9 I'm wondering what are your plans to address  
10 those concerns? What happened to those previous  
11 concerns?

12 We understand -- well, Steve said this, but I  
13 want to say it again. We understand it's the  
14 state statute that remedial investigations and  
15 feasibility studies need to be signed by a  
16 Florida registered professional so that someone  
17 takes responsibility for the contents of these  
18 documents. And I want to know a why has this not  
19 been done? Who's responsible for the technical  
20 accuracy and the quality of these documents?  
21 Who's to be held responsible for these  
22 documents? Like the geologist who came up with  
23 the plan is a professional who signed off on the  
24 design.

25 From what I've heard from Steve, it's an

1 illegitimate proposal, presentation, it's bogus,  
2 because of the continuous clay, it's not there,  
3 it's discontinuous. There's no seals.

4 I'm suspicious of the bath tub, the slurry  
5 wall. It's not really a bath tub, because it  
6 doesn't have a bottom. The bottom is the clay,  
7 Hawthorn clay formation.

8 I'm really suspicious of this not having a  
9 bottom. I'm afraid it won't prevent the  
10 contaminants from seeping further, because the  
11 ideal is that you're going to have this bath tub  
12 with the Hawthorn clay formation for the bottom  
13 and a cap on top. And the idea is that the rain  
14 water's going to come down, and it's not going to  
15 through the cap, so it's not going to go through  
16 the contaminated soil area and it's not going to  
17 reach out to the groundwater.

18 But, in reality, what really happens is the  
19 rainwater falls on the cap and it also runs off  
20 and falls where the rest of the rainwater's  
21 falling, on the ground. And us here in Florida  
22 know the groundwater levels rise and fall. And  
23 sometimes during hurricane season, they're right  
24 there, you know, beneath the surface or above the  
25 surface. And, so, it's like steeping tea. When

1 the water rises up, it's steeping the  
2 contaminated soil, and then the level goes down,  
3 falls down, and the contaminated water goes with  
4 it.

5 So, you know, it's just, like, what  
6 professional came up with that plan was my  
7 question. How are you going to monitor the  
8 bottom, the water quality, the water level?

9 You know, also, if you do put that in place  
10 and it works, what type of an event would cause  
11 you to come back and have to do more? Do you  
12 have a plan in place for that?

13 Also, I'm not a professional, but I was  
14 wondering about the Floridan aquifer. Because  
15 you say that you're monitoring the superficial  
16 aquifer and the upper aquifer. So, I'm just  
17 wondering how much of the Floridan aquifer you're  
18 really monitoring.

19 Thank you very much. That's my comments for  
20 the evening.

21 UNIDENTIFIED AUDIENCE MEMBER: Where can we  
22 find answers to these questions?

23 MS. SPENCER: The answers to these questions  
24 will be in a summary that will be made public.

25 DAVID KEEFER: Good evening, I'm David

1 Keefer. I work with Scott Miller. I'm also in  
2 the superfund program. And I'm here tonight to  
3 listen to the community. Obviously, there's  
4 great community interest in this site and the  
5 cleanup plan. So, one of the things your mayor  
6 has asked for was an additional opportunity to  
7 make sure everybody's voice can be heard. And  
8 that's something that we're considering.

9 When this meeting is over, we're going to sit  
10 down and look at something to put together to  
11 ensure that everybody has a chance to speak.

12 Several people have asked for information  
13 that we can provide in short order, and can do  
14 that through our website.

15 Overall, the public comments are addressed  
16 through a document called responsiveness summary,  
17 which is part of the record of decision. And,  
18 you know, we need to work on -- yes, ma'am.

19 UNIDENTIFIED AUDIENCE MEMBER: (Inaudible.)

20 DAVID KEEFER: That's what I was trying to  
21 address earlier, is we clearly need to have a  
22 longer dialogue with this community about this  
23 cleanup plan. We may also have lots of  
24 legitimate questions that we need to do a good  
25 job answering and clarifying.

1           And I don't have an answer for you to tonight  
2   as to when we can get together again and talk.  
3   That's -- we're going to have to figure out when  
4   we can get that scheduled and coordinated with  
5   the mayor and city commission's office. But we  
6   will get back to everybody on the mailing list,  
7   make sure your name's on the mailing list, and  
8   let you know how we're going to continue this  
9   conversation

10           UNIDENTIFIED AUDIENCE MEMBER: (Inaudible.)

11           MS. SPENCER: Her question is whether or not  
12   there's going to be a place that the public will  
13   be able to read the questions and the answers to  
14   the questions.

15           UNIDENTIFIED AUDIENCE MEMBER: Or challenge  
16   your answers.

17           MS. SPENCER: Or challenge the answers.

18           UNIDENTIFIED AUDIENCE MEMBER: (Inaudible.)

19           MS. SPENCER: Again, I think David mentioned  
20   we're going to have to get back together, not  
21   just with EPA, but also the city to determine how  
22   we can further this conversation. So, I don't  
23   think there's an answer to that, but it should be  
24   forthcoming is what I'm hearing.

25           Okay. I'm going to go back to the list.

1 Kayla Sosnow.

2 KAYLA SOSNOW: I want to make a suggestion,  
3 L'Tonya, that you call two or three people at a  
4 time, so we don't have to waste all this time  
5 with people getting up out of their chairs and  
6 coming down here.

7 I have two comments. One is that the EPA  
8 originally had a list of 33 chemicals of concern  
9 at this site. And I've heard that you're now  
10 only concerned about remediating five chemicals.

11 So, my question is: Does that mean that  
12 you're not looking for the other 28 chemicals?  
13 So, if they're present, they're just going to be  
14 left there?

15 And my second question is: You state that  
16 some soils would be removed during re-grading and  
17 placed in the consolidation area. Is there a  
18 process determining which soils, what areas  
19 they're in, and how deep you'll be going, so that  
20 most of the site outside the source area would  
21 have few restrictions for redevelopment, and was  
22 that evaluated in the feasibility study?

23 MS. SPENCER: Okay. The next person is going  
24 to be Sharon Sheets. And after Sharon, we'll  
25 have Sharon Woodruff.

1 SHARON SHEETS: Hi, folks. For a long time  
2 we've lived right next to Koppers, three doors  
3 away. Been to a lots of these meetings since '83  
4 exactly. And I'm glad that we're all here  
5 tonight. And I hope that EPA can see how  
6 concerned we are and that maybe we need a little  
7 bit more time and EPA needs a little bit more  
8 work on this plan.

9 Being a resident -- and I have signed to have  
10 my soil studied. I've had fugitive dust sampling  
11 done. I've got CCCA's in the yard. So, I've got  
12 a toxic yard. Supposedly, not hugely toxic, but  
13 I don't trust to eat out of my yard, have my hens  
14 in the yard. I keep my windows closed.  
15 Breathing the dust, just fugitive dust is toxic.  
16 So, I signed on to have deeper soil testing going  
17 on.

18 And I didn't see anything in this document  
19 that we have that addresses what's going on with  
20 off-site soil testing. How many of us are -- or  
21 what's the extent of the off-site soil testing?  
22 When can we expect it to be completed? How does  
23 this fit in with what offer that we've already  
24 been given to treat the site? What about  
25 off-site and how all of us are being affected?

1 How long do you expect for it to take? And will  
2 we, as residents, immediately, or pretty  
3 immediately, get the results of whatever's going  
4 on, so that we can effectively take care of  
5 ourselves? Because we've been trying to do this  
6 without very much cooperation. I've been asking  
7 for years.

8 Second -- and I flyered the neighborhood up  
9 and down the Koppers line for years and years and  
10 years for all the meetings that we've ever had.  
11 There are people that live right on the line who  
12 swear to me that there are lagoons and barrels  
13 that are still planted and have not been  
14 identified on the perimeter of the property. And  
15 I really do believe that we have the technology  
16 that some of this could be looked into. I don't  
17 know that anybody has actually done any, I want  
18 to say -- and I know it can be done, I mean, it's  
19 possible. If there's any more in-depth study  
20 having been done, particularly along the  
21 perimeter of Koppers, where many of the people  
22 who have been affected health-wise with various  
23 forms of cancers, and what have you, swear that  
24 they have witnessed lagoons being plowed under  
25 and barrels being buried. So, I'm still curious



1 about that and whether or not there has been any  
2 effort to identify those. It seems that they  
3 could very easily be found. So, my question is  
4 mostly for us property owners.

5 And then, really, what kind of remediation  
6 can we expect, given that -- seems like the plan  
7 is just to bury the worse of it, leave the green  
8 area pretty much as is. And those of us that are  
9 right on the periphery, we're SOL, you know,  
10 can't sell our houses, can't rent our houses, and  
11 where do we go, what do we do? And we're not in  
12 good health. Thanks.

13 MS. SPENCER: Sharon Woodruff.

14 SHARON WOODRUFF: I'm Sharon Woodruff. I  
15 have lived four to nine blocks from the property  
16 line of Koppers for most of the last 40 years.  
17 So far, only one of my family has died of cancer,  
18 and two of our blessed dogs. I hope that's going  
19 to be the end. But tonight I want to address  
20 something that no one else has addressed. The  
21 potential land use.

22 The premises of the feasibility study are so  
23 flawed, so imaginary, so erroneous, so negligent,  
24 so inadequate, and totally false in so many way.  
25 It does not take a scientist to look at it and

1 say: Whoa, let's start over here. Who is going  
2 to say that?

3 Since the imaginary tenants for future land  
4 use were composed by persons totally unfamiliar  
5 with the neighborhood and its processes, major  
6 changes have made even the stupid original  
7 postulates even more unrealistic.

8 First, the railroad is now a recreational  
9 trail south of the site. And the only natural  
10 use of the railroad space to the east of Koppers  
11 is to extend the recreational trail now that the  
12 captive use by Koppers is now a moot point.

13 Second, the feasibility study states that  
14 recreational access is present in the  
15 neighborhood at Stephen Foster School and at  
16 Sidney Lanier School. .Go look again. That's  
17 been purely imaginary for years.

18 In truth, chain link fences and "keep out or  
19 be arrested" signs greet all who attempt to enter  
20 the school grounds.

21 Third, the Walmart store on Northwest 13th  
22 Street will close forever in two years. The  
23 potential for commercial use in the Northwest  
24 23rd Avenue strip is purely imaginary by someone  
25 who does not live in Gainesville, and probably

1 has spent very little time here.

2 There are so many more things that are just  
3 totally wrong in the beginning. Studies that  
4 test the top one to six inches of soil? What  
5 about below that?

6 What about the combinations of poisons?  
7 Somebody's mentioned that already.

8 What about capillary action? We have such  
9 intense dry spells, and then such heavy wet  
10 spells.

11 What about the runoff? That has still not  
12 been adequately dealt with. You've killed two  
13 creeks already, Springstead and Hogtown. That  
14 has not been properly addressed. We want our  
15 creeks back and healthy.

16 In the 1970's I learned a computer term which  
17 basically describes this whole process. I can  
18 tell there's some other programmers here. GIGO.  
19 Garbage in equals garbage out. That is what this  
20 feasibility study is. And it needs to be started  
21 over and done right.

22 MS. SPENCER: Okay. I'm going to do a quick  
23 time check. It is now 7:30. I'm going to call  
24 two people from the list, and I'll check the time  
25 at that point. Because, before the meeting ends,

1 I want to introduce the technical advisor for the  
2 Protect Gainesville's Citizens, Dr. Pat Kline.

3 And I also want to introduce to you the person  
4 who applied for the grant and received the grant  
5 for Protect Gainesville's Citizens, Cheryl Crowe.

6 UNIDENTIFIED AUDIENCE MEMBER: (Inaudible.)

7 MS. SPENCER: The meeting can be extended,  
8 but it will not go on public record, because we  
9 will not at that time have a person to record it.

10 UNIDENTIFIED AUDIENCE MEMBER: (Inaudible.)

11 MS. SPENCER: By law, we have to our own  
12 person, court reporter. And before you get  
13 started, we are going to talk -- okay. Hold on.  
14 Wait.

15 Before we get started, we are going to  
16 discuss possibly having another meeting or other  
17 ways to get your comments. So, the comment  
18 period is not over. So, please, don't expect  
19 this to just be the last time that you have an  
20 opportunity to give a comment. Please be  
21 reminded this is not the only way and it's not  
22 the last way.

23 I'm going to call Kim Popejoy and Gina  
24 Hawkins.

25 KIM POPEJOY: I'm Kim Popejoy, and I'm chair

1 of the Superfund Art Project.

2 Scott, I also own a piece of property that's  
3 stuck right in this little corner. You have this  
4 large green area here in which the surface soil  
5 concentrations, particularly of dioxin, are way  
6 above the target levels.

7 As I read the proposed plan, one of the ways  
8 that you could deal with this is by leaving the  
9 contaminants on-site, and then covering it with  
10 two feet of soil. What would that do to  
11 potential future uses? And does that mean that  
12 you don't really have to refine and further  
13 characterize the other possible sources in this  
14 area?

15 So, those are a couple of questions. And the  
16 other things are more broad and general  
17 questions.

18 And I ask all of you to take a look around  
19 yourself and look at each other, and realize that  
20 you being here tonight do have an impact on this  
21 process.

22 So, Scott, how can we change the record of  
23 decision? How can we affect the proposed plan?

24 And, as far as this proposed plan is concerned,  
25 how can we change your mind?

1           GINA HAWKINS: Some of you may remember me as  
2 Director of the Cleanwater Action Project back in  
3 1983 that began work on this site. Others of you  
4 know me as your neighbor in the Stephen Foster  
5 neighborhood since 1986.

6           And I want to say, in 28 years of experience  
7 working on solid and hazardous waste management  
8 issues, I've never seen the State of Florida ever  
9 allow the construction of a permanent storage  
10 facility for PAH's, copper, chromium, arsenate,  
11 let alone an uncontained mound covered with a  
12 tarp. No municipality would ever be permitted to  
13 store waste in this manner. Therefore, I find it  
14 reprehensible that you're proposing this as a  
15 permanent storage site of these materials under a  
16 tarp.

17           Finally, my last question. The regulations  
18 require that the extent of contamination be  
19 defined typically during the remedial  
20 investigation. Why, 20 years after the initial  
21 ROD, is this not complete?

22           I've been involved for a quarter of a  
23 century. I'm going to be living there another  
24 quarter century. So, I can wait you out.

25           When will you consider your identification of

1 the extent of the contamination complete? And I  
2 want to know a date, and at least include a year,  
3 if you will.

4 MS. SPENCER: Okay. We're going to have  
5 Dwayne Mundy and then Joe Prager.

6 DWAYNE MUNDY: Thank you. And my question is  
7 kind of along the line of Gina's. Are there any  
8 other communities in Florida that have an unlined  
9 toxic waste landfill in the aquifer protection  
10 zone of their primary source of drinking water?

11 Thank you.

12 JOE PRAGER: You. I'm Joe Prager. I publish  
13 a website called Ban CCA dot org about CCA  
14 treated wood. Many of you have seen me speak on  
15 this issue before and about the superfund site.  
16 I'm going to try to be brief.

17 The plan should be rejected, marked "return  
18 to sender," and mailed back to Scott.

19 I am glad to see Mr. Keefer's here, and also  
20 Mr. Osteen's here. I've read some of  
21 Mr. Osteen's letters, and I'm going to mention  
22 them tonight. So, I'm glad he's here, so I'm not  
23 talking about him without his being present.

24 I'm very concerned about the fast track  
25 process that this has undergone, where Beazer is

1 treated with kid gloves. I asked the question  
2 the other day if they were being given de minimus  
3 status. Apparently, that's not quite true. But  
4 I can't really tell the difference. That's a  
5 legal term for when you get out of paying for  
6 things or pay the least possible cost.

7 So, I think removal of the contaminated  
8 source area, the blue there, would be a better  
9 option. If we can dig down to 40 feet at Depot  
10 Avenue, we can dig down to 40 feet here and get  
11 rid of the bulk of the contaminants.

12 I'm concerned that we've picked one of the  
13 bottom three cheapest options. Again, who is  
14 paying for this? Beazer. Are you guys getting  
15 stock options? Because we may want to get in  
16 some of that action ourselves.

17 The Cabot site is an example of what can go  
18 wrong when you use the method that's used on this  
19 site plan. And I'm going to mention your letter,  
20 Mr. Osteen.

21 There's a letter on the administrative record  
22 that talks about how Well HG29 on the Cabot site,  
23 about right there, has perplexingly purple  
24 water. We may be drinking that someday. And  
25 Mr. Osteen was smart enough to realize that



1 that's not just chemicals, you know, that water's  
2 actually purple for some reason. So, we need to  
3 study it more.

4 And when you read letter after letter,  
5 whether it's something from Kelsey Helton that  
6 was written in November about testing the schools  
7 that are south of this site, or whether they're  
8 letters from our own county officials, city  
9 officials, toxicologists, they all say we need to  
10 study this more.

11 So, my question is: Why are we coming to a  
12 plan when the remedial investigation is  
13 incomplete?

14 Why haven't the yards been tested?

15 I'm also concerned that we got something  
16 called the administrative record index, it's on a  
17 CD. Now, you guys know how big CD's are. There  
18 are 220 PDF files on that. This site has been on  
19 the NPO list for 26 years. I think there should  
20 be more than 220 PDF files. Where are the rest  
21 of the documents?

22 Contaminants are already leaving the site,  
23 folks. There's a naphthalene plume that heads  
24 north already now. So, it's about right here.  
25 Okay? It's underground, and there are

1 residential lots there, like Mr. McGee's, if he's  
2 here, and other people.

3 And, so, Mr. McGee here has naphthalene  
4 underneath his yard. Now, if I had naphthalene  
5 under my yard, I'd want somebody to come clean it  
6 up because of vapor infiltration.

7 Homes in Florida are built on a slab. And  
8 naphthalene rises up through sand and soil and  
9 limestone, rises right through concrete slabs,  
10 and you breathe minute amounts of it. That is  
11 why the floor tiles in the back of the Kmart  
12 peeled off on the Cabot site.

13 So, we also have possible surficial aquifer  
14 contamination on the western side that Roy was  
15 going to talk about, if he got the opportunity,  
16 including residential wells that were bought by  
17 Beazer and Top Kill. We know what means now;  
18 right?

19 So, if the wells that are close to the site  
20 in the residential area are contaminated, I think  
21 that's a concern, because the horse is out of the  
22 barn.

23 We know that the soil on the streets in that  
24 western area are contaminated. How do we know  
25 that? We know that because the city is concerned

1 about it, and they generate this map with these  
2 little yellow stars. It's on the administrative  
3 record I just mentioned. You see all the those  
4 little stars? That's where dioxin is above seven  
5 parts per trillion, the Florida SDTL. That means  
6 the dioxin levels are going to give you cancer  
7 eventually. And it's a concern for the city that  
8 got mentioned to Mr. Miller, because they're  
9 concerned about their workers' health. So, if  
10 they're going to re-pave these streets, they're  
11 worried about the dioxin levels that are  
12 underneath the street.

13 I'm worried the dioxin levels that are in  
14 those people's front yards. Okay. If it's too  
15 toxic on the workers, it's too toxic for our  
16 residents.

17 And with regard to that toxic dust, we are  
18 now in the Stephen Foster Elementary School, we  
19 are point .6 miles, as the crow flies, from the  
20 site. We've tested some of the homes in this  
21 area as part of the 500-million-dollar lawsuit.  
22 We know that the dioxin dust levels are really,  
23 really high. Some are 1100 parts per trillion  
24 compared to 7. You guys know how much that is.

25 So, what are the dust levels in this school,

1 or the one that's directly south of the site, or  
2 any of them within three quarters of a mile? And  
3 why aren't we checking that? I would think that  
4 would be the responsibility of the EPA.

5 On-site sources are not being addressed  
6 either, folks. And it's not like they haven't  
7 been informed. And like somebody brought up,  
8 we've had 26 years.

9 Here's an aerial photo. Here's the aerial  
10 photo of the Koppers site, circa 1965. This is  
11 the northern most area. So, it's the area at the  
12 top of the rectangle area. See all the woods?  
13 Here's the same area in 1971. Notice the  
14 trenches. You see the six parallel trenches?  
15 They're a couple hundred feet long. See them?  
16 They don't exist, folks. Forget about it. We  
17 don't know what they were used for. I've been  
18 asking those questions.

19 I've been asking about buried drums, because  
20 there are people saying that they saw that, and  
21 those issues have not been addressed in this work  
22 plan.

23 So, why is the EPA tone deaf? You guys can  
24 hear me, but I guess they can't. I'm sorry.  
25 It's just a fact.

1 With regard to the possible buried drums,  
2 there's a multi-level well, number FW-12B, and  
3 it's on some diagrams you have. Now, a multi-  
4 level well has four sensors. So, there's a  
5 sensor here, one here, one here, one here. That  
6 well is real close to where the eye witness said  
7 the drums are buried, and it detects contaminants  
8 at the first, third, and fourth levels, which is  
9 highly unusual. Okay. So, why aren't we doing  
10 ground penetrating radar, like Ms. Sheets  
11 suggested? It's real inexpensive to do that.

12 Two more points, and I'm going to wrap.

13 There's been no proper health study done.  
14 People have had 10 cancer victims in a single  
15 household. Pets are dying. Birds are dying.  
16 Why did the ATSDR rubber stamp the FDOH's report  
17 and say there's no problem? I don't understand  
18 that.

19 But I do understand the Pottery Barn rule.  
20 You go in the Pottery Barn, you break a vase, you  
21 pay for it. So, I think Beazer should follow the  
22 Pottery Barn rule. They broke it. They should  
23 pay for it.

24 Thank you very much.

25 MS. SPENCER: Okay. At this time I'm going

1 to ask the technical advisor for Protect  
2 Gainesville's Citizens to come forward.

3 UNIDENTIFIED AUDIENCE MEMBER: (Inaudible.)

4 MS. SPENCER: Okay. I'm going to repeat her  
5 question, because in absolutely 10 minutes I am  
6 going to close the meeting.

7 She wants to know, for the record, why there  
8 has been no indoor sampling.

9 UNIDENTIFIED AUDIENCE MEMBER: (Inaudible.)

10 MS. SPENCER: Okay. But we have two other  
11 people that have the right to speak, as well.  
12 And I have used your whole list.

13 UNIDENTIFIED AUDIENCE MEMBER: (Inaudible.)

14 MS. SPENCER: I'm not going to argue with  
15 you. Excuse me, please. Don't argue with me.

16 Dr. Kline, would you please come forward for  
17 your comments, please?

18 PAT KLINE: This is a hard group to follow.  
19 And I'm Pat Kline. And I have been -- recently  
20 the Protect Gainesville's Citizen selected team  
21 to help clarify some of the technical issues and  
22 help communicate your issues to EPA to the extent  
23 I can, or clarify things to you.

24 And, you know, this is a really impassioned  
25 community and engaged community. And I want

1 everybody to recognize, from EPA, that the people  
2 who are brave enough to come up and say these  
3 things reflect only a few of the people that have  
4 these kinds of feelings. Obviously, there's a  
5 number of people that want to talk.

6 Some of you know me because I've been  
7 involved in this because of the city. And I've  
8 been reviewing some documents, and you probably  
9 already know what I'm going to say, because I'm  
10 typically consistent, at least, whether or not  
11 that's good.

12 And I appreciate the City of Gainesville also  
13 allowing a continued collaboration with our  
14 group. Because, to address some of these issues,  
15 takes a lot of depth and breadth of technical  
16 expertise. And I need to work with you on that.

17 Now, one thing, I'm personally --

18 UNIDENTIFIED AUDIENCE MEMBER: (Inaudible.)

19 PAT KLINE: Pardon?

20 UNIDENTIFIED AUDIENCE MEMBER: (Inaudible.)

21 PAT KLINE: Oh, well, we'll see. For myself,  
22 personally, and most people I talk to, we want  
23 something to move forward. We want the site  
24 cleaned quickly. We don't want to go another  
25 five years doing a bunch of studies. So, to the

1 extent we could do things that makes sense, that  
2 are acceptable and adequate and transparent, we  
3 want to go there.

4 So, some of the purpose of my comments right  
5 now are to make sure that we fill these gaps the  
6 extent we can --

7 UNIDENTIFIED AUDIENCE MEMBER: (Inaudible.)

8 MS. SPENCER: Okay. I have asked that you  
9 all be respectful. And I'm trying to give  
10 people, who have requested the opportunity to  
11 speak, to speak to the extent possible.

12 Again, this meeting will end at 8:00. And I  
13 know some of y'all are angry about that. But  
14 there are other opportunities to send in  
15 comments.

16 So, if you're going to continue to be  
17 disrespectful, we can end the meeting now.

18 Thank you.

19 PAT KLINE: I'm going to shorten my comments,  
20 because many people were very effective at making  
21 these, but I want to draw your attention to a  
22 couple things.

23 One, the green area. The green area, because  
24 of the fact we have Dr. Elmer Acorn. And if you  
25 want to know exactly how to do an FS and look at



1 areas and volumes, please talk to him also.  
2 We'll bring him in. But the idea is you can't  
3 take some vague, well, we'll re-grade, we'll do  
4 some covering, we'll do something else.

5 You've never done a document with  
6 leachability comparisons or with leachability  
7 criteria. You've never done a map with data  
8 saying where the exceedences are.

9 We have no idea if and where any place on  
10 that site you could actually remove dirt and have  
11 no cover and have it protective from the  
12 standpoint of soils. And I think we deserve to  
13 know that.

14 And I personally sat at a meeting and asked  
15 that, in the subsequent FS, you look at risk  
16 assessment, but I asked to look at looking at the  
17 volume of soil you'd have to remove to get to  
18 commercial/industrial and residential. And the  
19 reason for that is, we have had a lot of language  
20 barriers here, but sometimes those may be the  
21 exact same volumes. And at least we have the  
22 right to know what it would cost.

23 Now, I have previously looked at the  
24 consolidation thing. But after talking to so  
25 many people, I realize that we would also like a

1 cost estimate for off-site disposal of these  
2 contaminated soils.

3 Now, I want to be clear that there's a  
4 distinction here between what you guys can  
5 evaluate quickly. I know other people here that  
6 can evaluate the cost to 22 acres off site. We  
7 can do those. But you guys have the data.

8 You never presented the subsurface data in  
9 the FS, and you never estimated the volumes and  
10 did the comparison. And I think that's a  
11 deficiency in the document. And when you go to  
12 the ROD, you need to be able to say that in the  
13 ROD. So, some place you have to present it.

14 So, give us an addendum that shows us these  
15 numbers. It's not rocket science. It will not  
16 take you that long. You can probably do it in a  
17 couple weeks. Then we would at least understand  
18 what we're arguing about.

19 The other thing, as a technical advisor, I  
20 would say, in addition to the vagueness -- and I  
21 do -- oh, two things. One is, Scott, thank you  
22 for very much for giving us SDTL's, particularly  
23 off-site. But, you know, I think this whole  
24 green thing is kind of a camouflage, making us  
25 feel it's all going to be clean. And that's not

1 at all the case.

2 That entire 90 acres of that site could be  
3 covered with contamination every place across  
4 that whole site, and that's pretty unacceptable.

5 As the technical advisory team, we come in,  
6 and I'm going through the record and I'm trying  
7 to figure out things that I have not worked on  
8 very much before, like groundwater. And what I'm  
9 finding is,

10 Here's a report with some Floridan wells, and  
11 here's a report with some Hawthorn wells. It is  
12 a big disconnected mess of things. I have not  
13 seen any comprehensive groundwater data summary  
14 that lets us know what is where in groundwater.

15 I would really appreciate, since the data's  
16 there, I know you have it, I know you know the  
17 wells, I know you've got the coordinates for  
18 these things and the data and databases, I think  
19 you need a data summary report. In fact, I think  
20 that should have been in the FS also.

21 But I think having all these segmented  
22 reports that I've seen makes it very difficult  
23 for anybody -- I don't know if it's intentional  
24 or what, for anybody to really have a good  
25 understanding of what's going on.

1           And when you say something like you can do  
2   leachability, we'll either use the numbers or we  
3   will maybe make up our own. How do we sign off  
4   on a plan we have no idea what that means?

5           Do the evaluation now. Let us know what it  
6   is. And if we want to fight that fight, at least  
7   we know what we're fighting.

8           I will be more formal with my request. But  
9   I'm telling you that some of the data isn't  
10   there. It's not in the FS. I think you can do  
11   it in the next few weeks, allow us a chance to  
12   review, then we can give you more meaningful  
13   input and support your ROD when you get there so  
14   we can go through that process.

15          And I want to think the rest of the team  
16   members for getting out, and the community.  
17   Great job. Thanks.

18          CHERYL: Hi, I'm Cheryl. I'm from Protect  
19   Gainesville's Citizens. I know you've heard this  
20   request a couple times tonight, but we're all  
21   here to meet and come to the table with you guys  
22   and discuss this thing. I'd like to ask you to  
23   maybe take five minutes to 8:00 and talk among  
24   yourselves. Even if the court reporter goes  
25   home, we have a videotape, even if it doesn't get

1 on the official record, roll up your sleeves, sit  
2 here, and listen to this community. Give  
3 everyone in this room that want an opportunity to  
4 speak an opportunity to speak. Just show us that  
5 you care, that you want to hear, and it really  
6 makes a difference to you what we have to say.

7 In addition to that, we'd like to ask for a  
8 second 30-day extension, giving us from September  
9 to October for public comment. Of course, I put  
10 out there the caveat, if you decide when you go  
11 home that you need to re-write this proposed  
12 plan, you can just postpone the public comment  
13 period and let us know when the new proposed plan  
14 is ready.

15 If we're going to continue forward, we'd also  
16 like to reiterate, we want a second public  
17 meeting held further towards the end of the  
18 public comment period so that we have more time  
19 to have this discussion.

20 We would like the transcript and  
21 responsiveness summary for us to review at least  
22 30 days prior to the end of the public comment  
23 period.

24 We've asked a lot of questions tonight.  
25 There's no way that we can actually respond

1 effectively to this proposed plan without the  
2 answers to those questions. Giving us the answer  
3 to those questions along with the record of  
4 decision is not acceptable. We need the  
5 questions now, so that we can actually work with  
6 the information that you give us.

7 I think you've heard this already. We're in  
8 the process of reviewing the administrative  
9 record. At this time it does appear that some of  
10 the documents that are referenced in this, the  
11 documents that are there are missing. Our  
12 technical advisors are working at preparing a  
13 list of those documents. So, again we need those  
14 documents before we can prepare our complete  
15 response to this proposed plan.

16 And I think that's probably about it. Oh,  
17 here we go. The last one I wanted to ask for.

18 There's a lot of technical data that's  
19 referred in these documents. It's very  
20 scattered. We'd asked for this before. We would  
21 like a complete set of the data and the data  
22 summaries that this document that the proposed  
23 plan and the feasibility study are based on.  
24 Every one that did some piece of this has their  
25 data. We'd like it in some kind of database

1 format. Whatever format you want to give to us  
2 is fine, but we'd like the data so that we can  
3 review it.

4 SANDRA WATTS KENNEDY: Test the inside of our  
5 homes that have been tested already that show  
6 (inaudible). We have children. Hello. There  
7 are -- I don't want to talk about all the  
8 miscarriages, the birth defects that go on. When  
9 you start going door-to-door in our neighborhood  
10 and getting these anecdotes, it's horrifying.  
11 Almost anybody here will testify to that.

12 I can't believe you're even human, when you  
13 won't even look at us when we've asked for this  
14 before very politely. Please, I'm begging, come  
15 confirm. Or, better yet, if it turns out that  
16 there's something wrong with the data, let us  
17 know. People live inside their houses.

18 This is a human factor, and it is your  
19 mandate. It is the EPA's mission statement,  
20 after all, to protect human health and safeguard  
21 the natural environment upon which life depends  
22 to ensure that all Americans are protected from  
23 significant risks to human health and  
24 environment, where they live, where they learn,  
25 and where they work.

1 I'm Sandra Watts Kennedy. I represent  
2 Stephen Foster Neighborhood Association,  
3 Incorporated. Thank you.

4 MS. SPENCER: Okay. What we are doing, we're  
5 checking with the school to see if it's okay,  
6 that they have someone that will lock the school  
7 until we're done. And we will proceed until  
8 9:00.

9 UNIDENTIFIED AUDIENCE MEMBER: I have a key,  
10 and I will stay until the meeting is over.

11 MS. SPENCER: So, we will proceed until 9:00,  
12 for those people who would like to stay. I still  
13 have a list of names here for people who want to  
14 give comments, as well as a list from Protect  
15 Gainesville's Citizens. I'm going to start with  
16 the list that -- for those people that are  
17 leaving, can you leave quietly so that we can  
18 continue with the meeting, please.

19 I have an Armondo that had a comment. Is  
20 Armondo back here?

21 UNIDENTIFIED AUDIENCE MEMBER: Mr. Miller,  
22 I'm going to address this question to you.  
23 Although, I don't see you. My question is going  
24 to be -- it's unfortunate that we don't have  
25 Beazer's representative here. I'm sorry.



1 Hopefully, I'm loud enough.

2 Two things, we don't have the Beazer's  
3 representative and we don't have the  
4 administrator or the Obama appointee from  
5 Jacksonville here.

6 But my question would be: Is there any way  
7 that we can get some clarification, once we have  
8 clarification, about how much Beazer will  
9 actually contribute to the infrastructure?  
10 Because if this has gone on for approximately 30  
11 years, there's going to be a possibility that we  
12 need to build new infrastructure for water to  
13 actually treat a lot of these chemicals.

14 And being in the economic downturn that we  
15 all know we're in, and where our city and county  
16 governments are, how much is Beazer going to give  
17 the City of Gainesville, GRU, or what have you,  
18 to help build water infrastructure to treat? Not  
19 to mention how much the federal government and  
20 the superfund will also contribute. That's one  
21 question.

22 Second question is: There was a CNN report,  
23 I don't remember when approximately it was, I  
24 remember seeing it on television, that talked  
25 about dioxin and how long it takes to break down,

1 not just in the soil, but also in the air. That  
2 is probably -- I don't want my child looking like  
3 a regular child, and then looking like the  
4 Ukrainian president or the president that blew up  
5 with dioxin poisoning. It is scary. It is  
6 frightening.

7 It's not just a City of Gainesville issue, it  
8 is public enemy number one, it is an Alachua  
9 County issue. And, if it gets to the Floridan  
10 aquifer, I'm sorry, dilution is not the solution  
11 to pollution.

12 I don't want any claps, please. I'm being  
13 real serious.

14 I would like a real answer from that, if you  
15 could. I think those are pretty significant,  
16 easy-to-follow questions. And if you could  
17 answer -- I believe, Scott Miller, if you could  
18 answer that, I'd appreciate it. Thank you.

19 MR. MILLER: In brief, with respect to  
20 infrastructure concerns, I think it's important  
21 to note that there's been no detection of site  
22 contaminants at the Murphy wellfield or at the  
23 sentinel wells that have been installed between  
24 the site and the Murphy wellfield. And that's  
25 why we're implementing a remedy to make sure that

1 never happens.

2 So, with respect to that, that's the answer  
3 to your question.

4 And, I'm sorry, I can't talk to you about the  
5 Ukrainian president, other than he got a dose  
6 that's 50 thousand times the level --

7 MS. SPENCER: Is Lee Norris still here? Next  
8 I'm going to call from the card. It will be  
9 Cindy Harrington.

10 LEE NORRIS: My name's Lee Norris. I moved  
11 to Stephen Foster in 1971. My question's very  
12 simple.

13 If it's 26 years before we get it cleaned up,  
14 it won't matter to about half of this crowd.  
15 We'll be gone. Can you give us some time line?  
16 We're at 26 years, and we're at the proposed  
17 cleanup. When can we expect a cleanup? You  
18 know, if it's 26 years, look at the white haired  
19 people in here, it won't matter to us. We'll be  
20 gone. Please give us some kind of answer of what  
21 can we expect in a time frame.

22 MS. SPENCER: Cindy.

23 CINDY HARRINGTON: I'm Cindy Harrington. I'm  
24 a resident of the Stephen Foster neighborhood.  
25 And until the feasibility study holds those

1 responsible for polluting our city truly  
2 accountable and requires them to fully clean it  
3 up, I will never agree with its findings.

4       Anyone with a middle school education can see  
5 the injustice of allowing a polluting party a  
6 proverbial pass by capping a portion of the site,  
7 and then throwing a couple of feet of topsoil on  
8 some other affected areas.

9       We have the culprit. We know who the culprit  
10 is. This is not an abandoned site. We know who  
11 the culprit is; correct? They know who the  
12 culprit is. They are morally responsible, they  
13 are legally responsible, and they are financially  
14 capable of cleaning up the site and cleaning up  
15 the residential area around the site.

16       And it is the duty of the EPA to hold them to  
17 task, not to find the path of least resistance,  
18 not to find the cheapest way out. It is their  
19 duty to find the right path and the right  
20 remedy. The EPA should not be their advocates,  
21 but, rather, their worse nightmare. Which leads  
22 me to question number one.

23       It concerns us that agencies who are supposed  
24 to protect the community are not doing what is  
25 required by law. For example, why was it the

1 citizens who had to bring up the signage issue or  
2 the lack thereof around the Koppers  
3 neighborhood?

4 And, more recently, I don't know if this was  
5 required by law, but I did receive a feasibility  
6 study in the mail. But I understand that many  
7 citizens closer to Koppers than me never received  
8 this in the mail.

9 So, how can we trust what you say you're  
10 going to do you're going to do, when we can't  
11 even get mailings straight? It really concerns  
12 me.

13 And what are the plans to protect residents  
14 in the neighborhood during remediation  
15 activities, either on or off site? Are they  
16 going to be trucking contaminants through our  
17 neighborhoods? How are we going to be protected  
18 and not be further polluted?

19 And once this cleanup is complete, what will  
20 be the responsibility Beazer East to provide  
21 remediation if any of the institutional controls  
22 are violated and contamination is exposed?

23 Now, am I hearing this right? Are you going  
24 to tell me that I'm not allowed to plant a garden  
25 in my yard or I'm not allowed to excavate in my

1 backyard to build a pool or to put in a decking,  
2 where I might have footings beyond two feet in  
3 depth? And if I do put in a pool, and all of a  
4 sudden this pollution comes up, am I now going to  
5 be held liable while Beazer walks away? Are you  
6 going to tell me that I'm going to be liable if  
7 these dioxins come up in my yard and expose my  
8 neighbors to pollution?

9 And, last, but not least, people are  
10 abandoning properties left and right in our  
11 community. Our values -- and I'm also, by the  
12 way, a local realtor. Our values are -- I have a  
13 little sign that says: My house is worthless.  
14 It is worthless. Who is going to buy a house in  
15 a neighborhood that's polluted? And who, I ask,  
16 is going to make us whole? Who is going to make  
17 us whole? It better be Beazer.

18 Thank you.

19 MS. SPENCER: Okay. We have Sally Shatner.  
20 And after Sally, we have Tia Mall.

21 SALLY SHATNER: Hi. I'm Sally Shatner. I've  
22 lived in the Stephen Foster neighborhood and  
23 right off the creek for 18 years. I was actually  
24 diagnosed with an autoimmune thyroid disease. My  
25 cat was diagnosed two years after me with the

1 same disease.

2 I received a certified letter from Florida  
3 EPA stating that my property is contaminated.  
4 Now, it's a certified letter, so it's on file. I  
5 won't ever be able to sell my house, even though  
6 I'm within about 12 years of paying it off. So,  
7 great. Now I'm stuck with contaminated property  
8 and health problems.

9 The other thing is, too, on the creek, back  
10 in 1980 I have an article from The Alligator,  
11 stating that there were signs all through the  
12 creek, saying there was excessive phenol  
13 concentrations, do not go in the creek. Those  
14 signs have all been removed. They have not been  
15 up since my husband moved in the neighborhood in  
16 '89. They were not there in '92, when I first  
17 started going through the creek. So, where were  
18 these signs and why haven't we known that there  
19 are phenols in the creek? Now we're just finding  
20 out that they are in the creek?

21 The dioxins that they found on our property  
22 were 33 percent higher than what the state levels  
23 are.

24 Thank you.

25 MS. SPENCER: Karen Eppel. And after Karen,

1 we'll have Christy Smith.

2 KAREN EPPEL: Hi. I'm part of Protect  
3 Gainesville's Citizens, and I'm also a resident  
4 within about a mile of the site.

5 Actually, I have three questions. Some of us  
6 do not want the high concentration of toxic  
7 materials heaped into a pile that leaves us with  
8 toxins here forever. We don't feel this is an  
9 adequate solution.

10 What other technologies are available that  
11 would be more aggressive in removing the  
12 contamination from the site? Can you get it out  
13 of there and take it someplace else?

14 Also, have you done testing far enough into  
15 the surrounding neighborhoods to determine where  
16 contamination returns to ground levels? Have you  
17 figured out the boundaries of the contamination?  
18 And, if not, why? If you haven't, why not? Has  
19 that been done?

20 MR. MILLER: There's ongoing testing planning  
21 to take place in mid-September to begin -- to get  
22 towards the end of answering your question, to  
23 outline the footprints as we go.

24 KAREN EPPEL: And I have another question in  
25 somewhat the same vein. What about groundwater



1 levels in other directions besides towards the  
2 wellfields? Will you be going in a circular  
3 way? Because, believe me, water here just  
4 doesn't flow in one direction. When the rain  
5 comes down, it goes everywhere.

6 MR. MILLER: Yes, ma'am. We have extensive  
7 wells on site. There's over 300 wells. There's  
8 86 monitoring points in the Floridan aquifer  
9 around the site, in the northern and western and  
10 eastern side, and wells on site below the former  
11 source areas.

12 So, we are collecting a lot of data as we  
13 move forward.

14 KAREN EPPEL: All directions?

15 MR. MILLER: Yes, ma'am.

16 KAREN EPPEL: Okay. One more. The remedy  
17 supposedly supports commercial land uses.  
18 Wouldn't digging down below the tops of the  
19 covers into the contamination conflict with the  
20 institutional controls?

21 If the remedy supposedly supports commercial  
22 land uses, wouldn't digging down below the  
23 specified levels into the contamination to build  
24 foundations conflict with the institutional  
25 controls? If so, how would this area be

1 developed?

2 MR. MILLER: It could conflict with the  
3 institutional controls. But the institutional  
4 control, when people come and develop a site,  
5 they work with the environmental agencies to look  
6 at how -- what effects will take place there, and  
7 then soils are managed in accordance with that  
8 site soil management plan that will be part of an  
9 institutional control.

10 So, it can be re-developed, it's just  
11 re-developed in a way that's consistent with  
12 protecting human health and the environment.

13 KAREN EPPEL: Okay. What about my first  
14 question, that we would really rather that the  
15 materials were removed from the site. We really  
16 don't want a toxic waste dump in our city.

17 MR. MILLER: Removal has been part of the  
18 evaluation. We'll continue to take a look at  
19 that.

20 KAREN EPPEL: Thank you.

21 MS. SPENCER: David Gold. Is David Gold  
22 here?

23 Did I call Christy Smith?

24 David Gold, is he here?

25 Okay. Darryl Beach.

1 DARRYL BEACH: How far away is the testing in  
2 September going to be from the site?

3 MR. MILLER: Right now the testing is -- the  
4 testing has been done on a progressive basis as  
5 we go away from the site. And what we're looking  
6 to do is to find out where the soils are in  
7 compliance with the state residential standards  
8 on that side of the site, the western side of the  
9 site. Or, if it's a commercial piece of  
10 property, if it's in compliance with the  
11 commercial standards that the State of Florida  
12 has. We're doing that on a phased basis.

13 We're doing that to the city right-of-ways.  
14 And then, once we do that, we come back and  
15 request access to people's yards, because we  
16 can't simply just walk in their yard and take a  
17 soil sample.

18 Once they give us their written permission,  
19 then we go into their yard at 0 to 6 and 6 to 24,  
20 and sample it. It's going to be done on all  
21 areas, all sides. And that's also part of what  
22 we hope to do in September. But that is somewhat  
23 controlled by how quickly we get access  
24 agreements back, because we do have to get  
25 written permission from folks to do that to their

1 property..

2 MS. SPENCER: The next two names are Barbara  
3 Ruth and Kate Ellison.

4 KATE ELLISON: My name is Kate Ellison. I'm  
5 a resident of Gainesville. And these questions  
6 have sort of been asked before, but I want to  
7 just state for the record the amount of concern  
8 in the neighborhood for so many of these  
9 questions that we don't have answers for yet.

10 Why do you assume that the creosote was  
11 limited to this blue area? We believe that there  
12 are source areas not identified that remain  
13 outside the area. Will the proposed remedy  
14 require that these be remediated, if identified,  
15 and not simply covered up?

16 We've given you maps that show the source  
17 areas outside of this blue area. Do you have a  
18 plan for these?

19 Why do you emphasize the two feet in places  
20 in your proposed plan? What if taking a little  
21 more of the soil would leave no contamination in  
22 some areas above the levels protected for  
23 commercial or residential criteria?

24 And are you going to test the soil or the  
25 water to the south side of the Koppers site?

1 Thank you.

2 MS. SPENCER: Okay. Off of the list we have  
3 Mia Garna. And, after Mia, we have Renee  
4 Pinault.

5 MIA GARNA: My name Mia Garna. I'm an  
6 Alachua County resident and business owner. I  
7 just wanted to say it was sort of unclassy to  
8 open this community meeting by alerting us to  
9 police presence. That was really unwelcoming and  
10 sort of set the tone a little bit off and not in  
11 our favor.

12 Basically, a lot of my questions have been  
13 answered. But with the recent dispersant  
14 discoveries, if this, which it should not, but if  
15 your plan passes, what do the stabilization  
16 compounds contain? What are they composed of?  
17 And what are the safety of these compounds that  
18 are intended to remove these chemicals? Will  
19 they just leave more chemicals? Will they cause  
20 a hazard during landscaping? Will there be a  
21 dust impact? These are the questions that I  
22 have.

23 MS. SPENCER: Renee.

24 RENEE PINAULT: Some of the proposed plans  
25 that were sent to my home included some off-site

1 soil remediation, but the plan that you've chosen  
2 doesn't address this.

3 Can you please address why this decision was  
4 made? What's going to be done with the soil in  
5 the neighborhoods that lie on the perimeter of  
6 the site? And what are the health risks during  
7 the cleanup?

8 My home is located right here. If the soil  
9 here is contaminated, what leaves me to believe  
10 that my soil here is fine?

11 Thank you.

12 MS. SPENCER: Okay. We're going to have Ken  
13 Kay and Kia.

14 UNIDENTIFIED AUDIENCE MEMBER: (Inaudible.)

15 MR. MILLER: Okay. With respect to the  
16 question with off-site soil cleanup, that is part  
17 of the proposed plan. And there are three  
18 options in there. But, presumptively, what would  
19 happen is, soils would be removed from  
20 residential yards and taken away from residential  
21 yards in the zero to two foot range.

22 And the way that would work is, before that  
23 would happen, we'd have to, naturally, get the  
24 people's permission. We'd sit down and talk to  
25 them about their specific yard. And there may be

1 certain areas or trees that they don't want us to  
2 get near. And, so, we'll take that, take that  
3 soil, basically, away from the property, and then  
4 replace it with clean fill.

5 That's the essence of that, unless there's a  
6 voluntary agreement reached between property  
7 owners and Beazer East to something different.

8 KEN KOPCZYNSKI: Good evening. For the  
9 record, my name is Ken Kopczynski. I'm a  
10 resident of Tallahassee, Florida. I first became  
11 involved in this site in 1984, was not happy with  
12 the way things were going there in regard to the  
13 research that is being done.

14 We did finally get the EPA to acknowledge the  
15 fact that there was a lagoon under North Main  
16 Street. There's some issues with that.

17 I spent six years of my life prior to moving  
18 to Tallahassee to try to get in the record the  
19 history and the extent of the contamination of  
20 this site. And I'm sorry to say, we're still in  
21 that position 26 years later, including this  
22 document that was handed out tonight.

23 I will use an example. Page three: The site  
24 was originally two sites, Cabot Carbon in the  
25 southeast portion of the site, and Koppers on the

1 western portion of the site.

2 Ladies and gentlemen, this site was  
3 originally three parcels. The Cabot, the  
4 Koppers, and the area north of the Cabot site.  
5 And, in fact, if you go to the property records  
6 of Alachua County and look at the property  
7 records for the two parcels just north, you will  
8 find that it says, specifically, superfund site.

9 Okay. So, anyway, the question becomes what  
10 is the superfund site? And I'm tired of hearing  
11 on-site and off-site. If it's polluted off-site,  
12 it's part of the superfund. I mean, the map in  
13 here shows the property lines of Cabot and  
14 Koppers.

15 We know that northeast lagoon, which is now  
16 in contention in terms of who's responsible for  
17 it, is highly polluted. Guess what, folks? It  
18 ain't on the superfund site. It's on these two  
19 pieces of property to the north.

20 Process wastewater contain -- this is still  
21 on page three: Process waste water containing  
22 residual pine tar was discharged to three unlined  
23 lagoons as early as 1937.

24 Folks, if you look at the aerial photographs  
25 in 1937, there is one lagoon, and it's under



1 North Main Street. Those three unlined lagoons  
2 were not built until between 1949 and 1956. You  
3 look at the aerials.

4 The Koppers site -- again, on page three:  
5 The Koppers operated as a wood treating facility  
6 from 1916. Folks, I've got an article from the  
7 Gainesville Sun that this site was built in  
8 1911. I've got a sand born map of the site from  
9 1913. Yet, here's a document today saying that  
10 it was in operation in 1916.

11 Still on page three: Wood treating processes  
12 at the Koppers site began with the creosote  
13 impregnation process in 1916. Well, we've  
14 already decided that's not true. Well, it could  
15 be true. It could be true that in 1916 is when  
16 they actually started this creosote  
17 impregnation. I wonder what the children looked  
18 like.

19 The treatment processes -- and I apologize to  
20 you all, and I apologize to you all. And I know  
21 that you guys are targets and everything. Don't  
22 take this personally.

23 The treatment processes were modified over  
24 the years to include two additional processes:  
25 One, using CCA, beginning in 1960's; and the

1 another using pentachlorophenol, beginning in  
2 1969.

3       Folks, I've got an article from the  
4 Gainesville Sun that they started using what are  
5 called Wilson salts in 1936. 1936, they were  
6 treating the lumber with -- it's not quite CCA,  
7 it's another chemical composition. I can tell  
8 you what it is.

9       The other problem I have is on page 11, it  
10 says: The proposed remedy is intended to be the  
11 final cleanup for the Cabot Carbon/Koppers site.

12       Folks, if you don't have the history, you  
13 don't know what the extent of the pollution is,  
14 how can you have a final site?

15       One of my pet peeves has been the Winn Dixie  
16 floor. Back in 1980-something or another, 1984,  
17 Winn Dixie was experiencing floor tiles  
18 buckling. Okay. And they had a consultant come  
19 in, bore six holes in the floor. And guess what  
20 they discovered? Polyaromatic hydrocarbons  
21 coming, plasticizing the floor tiles, and eroding  
22 the vapor barrier, eating the damn concrete.

23       So, what did Winn Dixie do? And what did our  
24 authorities do? Well, you know, we're having  
25 other problems in Winn Dixie stores. And, well,

1 we don't really trust the results. Now, did they  
2 go back out and test? Hell no.

3 Now, this map right here is a blueprint,  
4 which I don't know exists anymore. I was lucky  
5 enough to make a copy of it, probably, before it  
6 disappeared, of the Cabot site.

7 What I've done is I've superimposed on top of  
8 this map the location of the roads, the location  
9 of the building. And guess what, folks? Winn  
10 Dixie is setting on top of a pine tar pit.

11 Now, do you think that pine tar pit had  
12 anything to do with those floor tiles buckling?  
13 No. They had problems elsewhere.

14 I would like to give this to you all to put  
15 it in the damned record that you have it. And,  
16 tell me, have you all looked around and tested  
17 these retorts?

18 Did you see all the tanks that they have?  
19 Have you all looked at these tanks here? Have  
20 you looked for them? What about this irrigation  
21 pond?

22 Now, I know y'all went out and tried to find  
23 this deep water well. Well, folks, they had a  
24 deep water well at Cabot, and they had a deep  
25 water well at Koppers, which is a direct conduit

1 to the Floridan aquifer. Find those. I asked  
2 y'all in 1984 to find these goddamned wells.

3 So, anyway, thanks a lot.

4 UNIDENTIFIED AUDIENCE MEMBER: (Inaudible.)

5 KIA IDEKER: For the record, my name is Kia  
6 Ideker. I have a lot of questions that didn't  
7 get asked. I'm going to read them really  
8 quickly. We'd like these in the response  
9 summary.

10 The feasibility does not address an  
11 alternative for off-site sediment at all. In  
12 fact, it states that, generally, they believe  
13 risk is low or attributed to Cabot. We just had  
14 a little Cabot education.

15 Why does it matter whether it is attributed  
16 to Koppers or Cabot? Do we have multiple  
17 operational units that need investigation?

18 Please clarify -- and I'd like an answer to  
19 this now. Please clarify what institutional  
20 controls will be required across the site  
21 following the implication of this remedial design  
22 and plan? Specifically, what would be done to  
23 the source areas? And what restrictions would be  
24 needed to develop outside the source areas in the  
25 future?

1           If development occurs on the green area,  
2   which is deceiving, because that's not going to  
3   be green in this plan, who holds the liability if  
4   those institutional controls are broken?

5           If Beazer sells the land or allows  
6   development, and somebody comes in and digs  
7   beyond that 22 feet of top clean fill, who holds  
8   that liability? Is the small business owner or  
9   the Winn Dixie or somebody that goes there going  
10   to have to pay for those source areas that you  
11   didn't find, that they find? Because we know  
12   that's what's going on at Carbon.

13          Everyone keeps telling us that's an example  
14   of a good cleanup. We do not believe that to be  
15   an example of a good cleanup. I'd like to invite  
16   you to stay tomorrow until the temperature hits  
17   86 to 96 degrees, and drive over by that site and  
18   smell the creosote coming out of the earth.

19          We have vapor intrusion in this town and in  
20   those buildings and off that site. You can smell  
21   it. We know where it's coming from. So, who  
22   pays for the liability? Who holds that  
23   liability? You can't put a foundation in without  
24   penetrating through the soil.

25          We'd like that removed. And we'd like

1 confirmatory testing done once the top two feet  
2 is removed. Whether you remove it and clean it  
3 on site, which I think is a good idea, because we  
4 can just use the clean dirt that's already there.  
5 It's just less money to haul it away.

6 We want confirmatory testing underneath  
7 there. We believe there are source areas all  
8 over that place. Thank you.

9 As currently summarized, it is possible that  
10 the contaminants across the entire site will  
11 remain and be entombed. A layer of clean soil on  
12 the top will be brought in. Is it possible that  
13 that will limit future land use and lead to a big  
14 fence with a guard and no development?

15 That's it. Thanks.

16 MS. SPENCER: Jan Ambrose Carter.

17 UNIDENTIFIED AUDIENCE MEMBER: We need to  
18 state for the record that our mayor and city  
19 commissioners have had to leave and will not be  
20 here to hear all of the rest of the citizen  
21 comments.

22 MS. SPENCER: It's supposed to be recorded  
23 that the city commissioners have left the  
24 building. Is there anybody else?

25 The camera is gone, so there's no video

1 recording at this time. The court reporter is  
2 still here, taking comments for EPA.

3 JAN AMBROSE CARTER: And that will be just  
4 fine for this comment, if somebody could write  
5 down at the end a question that I have.

6 My name is Jan Ambrose Carter. And I spent  
7 the early part of this year working with Protect  
8 Gainesville's Citizens to write the proposal for  
9 the EPA's technical assistance grant. And I'm  
10 grateful that our community has been awarded that  
11 50 thousand dollars to hire our technical  
12 advisor.

13 Since the funds were only received a few  
14 weeks ago, I'm concerned that we haven't had  
15 sufficient time to use the money as it needs to  
16 be used, to educate the community about the  
17 technical details of the current proposed plan.

18 Foreseeing that this might happen, I  
19 contacted our county DEP last February and  
20 explained the situation. And, with their  
21 blessing, on March 3rd of this year, I wrote a  
22 formal request to Scott Miller and his  
23 supervisor, requesting an extension of the period  
24 of public comment that we're in now to allow time  
25 for grant funds to be issued and utilized before

1 a record of decision was issued for the site.  
2 That request was denied. But I understand that  
3 more requests have been made. And I appreciate  
4 you considering those.

5 In the meantime, I started educating myself  
6 on the process that occurs before a cleanup plan  
7 becomes final. I spoke with other communities  
8 who have been dealing with superfund sites,  
9 including the one in Brunswick, Georgia.

10 The proposed plan that we're discussing  
11 tonight will, with or without changes made to  
12 accommodate our concerns, eventually become a  
13 record of decision, or ROD.

14 And, while that sounds like the final word,  
15 my understanding is that ROD will not actually be  
16 legal and binding until a consent decree is  
17 issued by a court of law.

18 We expect that EPA will respond to our  
19 community comments on the proposed plan and on  
20 the record of decision before filing for a  
21 consent decree. And we expect that the EPA's  
22 responses to our comments will be made part of  
23 the site's administrative record before the  
24 consent decree is filed with the court. We  
25 expect the EPA will notify our community when the



1 consent decree is filed.

2 So, my questions tonight are these. In which  
3 court will the consent decree be filed? And I  
4 would like the address, if you have it, or the  
5 city and state.

6 CAROLINE HINSON: Good evening. My name's  
7 Caroline Hinson. It's the Federal Court for the  
8 Northern District of Florida, which I believe is  
9 here in Gainesville. I don't have the address  
10 with me, but I can get that to you. It will be  
11 filed there after several months of negotiation.  
12 Of course, that comes out quite a number of  
13 months after the ROD, so that all the comments  
14 responding to ROD are incorporated into the  
15 record.

16 JAN AMBROSE CARTER: My second question. How  
17 will the community be notified? I'm sorry. Will  
18 the EPA notify our community when the consent  
19 decree is filed?

20 CAROLINE HINSON: The consent decision also  
21 has a public comment period. So, that will --  
22 we'll have more public comments between the  
23 filing of the consent decree and between when the  
24 court enters it.

25 Quite often the court also has a hearing, so

1 that it's open, and people can come and comment  
2 at that time.

3 JAN AMBROSE CARTER: And then my last  
4 question is, for the people here tonight, by show  
5 of hands, who are willing to go to court where  
6 the consent decree is filed and represent our  
7 concerns of the community that are not addressed  
8 in the record of decision? Thank you.

9 CAROLINE HINSON: I'm sorry. Just one more  
10 comment. When we say you'll be notified, it will  
11 be published in a local newspaper. So, it won't  
12 be -- it will also be published in the federal  
13 register. So, it won't be hidden away somewhere.  
14 It will be in your local newspaper.

15 MS. SPENCER: And, if Caroline lets me know,  
16 I'll let Cheryl know.

17 One thing that I need to clarify. I don't  
18 have a list of groups. Cheryl is the person that  
19 I contact, because she has the technical  
20 assistance grant. And I have asked on several  
21 occasions, if there are other, quote, unquote,  
22 groups, if you will give me your name and your  
23 address, you can be notified as well.

24 JOHN KING: Thank you. I'm John King. I'm  
25 president of Water and Air Research,

1 environmental engineering consulting firm here in  
2 town. We're part of the team supporting  
3 Dr. Kline and the neighborhood association  
4 through the grant.

5 One, I'd like to thank EPA for the funding  
6 that you provided the neighborhood association to  
7 buy the technical advisors, particularly the  
8 quality of Dr. Kline.

9 However, the grant did come through in late  
10 June, or whatever. They went through a selection  
11 process. And, as you heard tonight, the teams  
12 have just come on board in trying to analyze 228  
13 PDF's in the last 10 days. And some of my team  
14 has only had the opportunity in the last two or  
15 three days to engage on some of these issues.

16 Again, we respect and appreciate that you've  
17 already said that you will provide a fairly  
18 extended review period here. I think we need  
19 that. The train's moving fast right now. We  
20 need to kind of step back and make sure that what  
21 we're doing is right.

22 It's been 30 years. It's good to be here  
23 now, but we need to make sure the decisions are  
24 right.

25 I really only have one question I want to

1 pose to you and put in the record. Region 4 EPA,  
2 as recently as 2009, dealt with a site in south  
3 Florida, DeSoto County. It was a creosote plant  
4 started in 1911. It was closed, supposedly, in  
5 1952. It has many of the same problems that we  
6 have here. Actually, if you read the EPA record  
7 and go through it, you'll find tremendous  
8 similarity.

9 You've heard a lot tonight about vapor  
10 intrusion. The vapors do not know that that's  
11 where Beazer's property line ends.

12 And, so, to that point, in your documents,  
13 your responsive summary, which is effectively the  
14 same document we will get from this meeting, and  
15 all of the questions that are turned in to this  
16 group will be published in this summary, in the  
17 summary that you did for that site, you reference  
18 that there are -- and I'm going to just quote a  
19 very small piece here -- that the surrounding  
20 properties or certain properties in that area  
21 were required by a responsible party, the  
22 residents have been relocated, and all of the  
23 potential for exposure eliminated. Those are  
24 your words.

25 Now, I would hold out to you in question,

1 will you please respond to this community what  
2 your plan is to force the responsible party to  
3 procure the properties that will have the level  
4 of contamination or the vapor intrusions of these  
5 contaminants that we're talking about, and/or  
6 deal with the relocation issues? Thank you.

7 MS. SPENCER: Okay. I have two cards here.  
8 If the people are not here, I want to read their  
9 statements, so it can go on record.

10 Ann Lowry.

11 ANN LOWRY: My name is Ann Lowry. And I've  
12 lived in the Stephen Foster neighborhood for 16  
13 years. I was a director of nursing in a hospital  
14 and participated within the community and  
15 contributed to the community. However, five  
16 years after I moved, I got MS.

17 Well, my neurologist, when she found out I  
18 lived in the Koppers neighborhood and saw what  
19 the pollutants were, she said: Oh, well, you  
20 know, oh, my God, you know, no wonder, no  
21 wonder.

22 I am not the only one that has MS that lives  
23 in the Stephen Foster neighborhood. Other people  
24 have gone and civilly sued Beazer and won a  
25 judgment against them for their pollution causing

1 the MS.

2 Ten years ago I was started on interferon, a  
3 32-hundred-dollar-a-month drug, one of 23  
4 medications I take every day. Interferon is also  
5 used to treat malignant melanoma. It's a pretty  
6 strong treatment. Well, five years ago, I got  
7 malignant melanoma and had to have surgery two  
8 times.

9 How many times have we asked to have the  
10 insides of our homes checked? How many times  
11 have we gone door-to-door and noticed that  
12 there's been at least one person on two blocks in  
13 every household that has cancer or has died of  
14 cancer?

15 Now, we need to do epidemiological studies.  
16 Maybe the next time, in five years, when y'all  
17 decide what you're going to do to fix this, I  
18 hope you're all not standing, like I am, with my  
19 dog and my braces, waiting to go home to my  
20 wheelchair.

21 I hope that the EPA will clean this up, will  
22 take all the carcinogens out, move it away.  
23 Don't cap it over, waiting for it to vaporize  
24 back into your homes, because I don't want you to  
25 look like me.

1 MS. SPENCER: Okay. Phyllis Tanner and Mike  
2 Turturro.

3 MIKE TURTURRO: I'm Mike Turturro. I'm a  
4 citizen in Gainesville. Somebody already thanked  
5 you for acknowledging that we need more of a  
6 dialogue here. So, I thank you for letting the  
7 meeting run late. I'll try not to make it run  
8 much later.

9 It seems part of that, while I hope you can  
10 find some modification to the so-called normal  
11 processes, since the processes have already been  
12 modified, and the way the community involvement  
13 plan, for lack of a better, word has been botched  
14 because there was this plan, and it's old, and  
15 now there's this new thing, then we're -- after  
16 25 years, it's a little ironic, now we're in a  
17 hurry and only have a certain number of days.

18 It seems like things have changed in the past  
19 year or so. So, maybe it's a time to take it --  
20 not slow it way down, but, basically, find just  
21 the right speed for this thing.

22 And I got to say, I don't think I've heard  
23 anything tonight that I've disagreed with. Seems  
24 like everybody had really good questions, and it  
25 goes on and on.

1 I have two specific questions, one of them  
2 about the on-site. Several people have mentioned  
3 the possibility of hidden drums and various  
4 contamination. Have you guys considered any  
5 plans to do any search for buried treasure, so to  
6 speak, penetrating radar, something like that?

7 MR. MILLER: Yes, we have. And there's going  
8 to be a work plan coming forth that we'll share  
9 to address concerns with buried drums on-site

10 MIKE TURTURRO: Thank you. The other thing  
11 is this issue about institutional controls is a  
12 little confusing. I think I get the picture for  
13 the on-site. But, if it's dealing with  
14 somebody's residential property, are you going to  
15 be putting institutional controls on residential  
16 property?

17 MR. MILLER: That is included as a voluntary  
18 option between two private parties, the person  
19 who owns the house, for instance, and Beazer  
20 East.

21 If, for some reason, instead of having soil  
22 removed from the yard, you prefer or reach an  
23 agreement, for instance, to sell the home or to  
24 come up with another approach that works, such  
25 as, you know, installing a driveway and keeping



1 it up, or anything like that that keeps the  
2 situation in such a way that people don't come  
3 into contact with these soils that are in excess  
4 of these levels that are the state levels, it  
5 allows you to work together to make that happen.

6 It's strictly voluntary between two parties.

7 MIKE TURTURRO: I'm not a property owner. It  
8 just seems like it keeps coming up. It seems  
9 obvious, if something like that happens, there  
10 would have to be some kind of an addendum to the  
11 deed or something that would carry through. And,  
12 in that case, wouldn't there have to be some sort  
13 of compensation to the property owners?

14 MR. MILLER: Yes

15 MIKE TURTURRO: The third thing I have to say  
16 isn't really a question so much, but you might  
17 want to tackle it.

18 When I looked at this plan, and in particular  
19 the off-site part of it, it's a bunch of: We  
20 don't really know yet, so we're going to consider  
21 these options. And the plan itself -- like the  
22 FS was a consideration of a whole bunch of  
23 options, and then, even for on-site was a  
24 combination of options, which is sort of another  
25 option -- and I'm not trying to be too pedantic

1 here, but it seems like, you know, what's the  
2 plan?

3 And for the off-site, it seems like this plan  
4 is to make a plan. And I don't know how we can  
5 actually comment on a plan to make a plan.  
6 Thanks.

7 MR. MILLER: The answer to your question is  
8 this. What we do in the next phase here, once we  
9 get a record of decision, we have the data  
10 available to come up with a plan of how to  
11 address the contamination.

12 As part of that plan, and what you see  
13 ongoing, is we're collecting data so we know what  
14 the footprint of the remediation will be  
15 off-site.

16 We do not know the specific entirety of the  
17 footprint of what the remediation will be  
18 off-site. We do not believe that will prevent us  
19 from making a decision with how we go with that.  
20 So, that's why we're pushing forward with  
21 off-site soil sampling, regardless of how we go  
22 forward with the proposed plan, because we think  
23 it needs to be an expedited approach.

24 MR. KEEFER: Just to clarify, too, the  
25 footprint of the off-site or off-property cleanup

1 will be to the most stringent Florida DEP cleanup  
2 target levels that is applicable to whatever land  
3 use. If it's residential, it's residential. If  
4 it's commercial, it's commercial.

5 So, they're going to continue sampling until  
6 they find the edge of the impact. And then all  
7 the those properties will be remediated, or, as  
8 Scott tried to explain before, if the landowner  
9 and Beazer reach some other arrangement, such as  
10 Beazer wanting to buy them out, there's  
11 provisions for that, as well.

12 The point is that we want to be in a position  
13 to move forward with the off-property cleanup as  
14 quickly as possible. It's pretty simple. It's a  
15 binary decision. If contamination is in your  
16 yard, it needs to be removed. Okay. That's done  
17 by excavation.

18 So, we don't want to wait for a long design  
19 period or any other delays that might occur,  
20 because we know how that's going to work. So,  
21 that's the point of that of the approach, is to  
22 get your properties cleaned up first.

23 UNIDENTIFIED AUDIENCE MEMBER: What about the  
24 contamination in the house?

25 MR. KOPOREC: I've heard you bring it up

1 tonight. I don't have an answer to that. We'll  
2 discuss it, and I'll get back to you.

3 MS. SPENCER: I'm going to call three names.  
4 George Papatti. Susan Fairforest, and Roy Hale.

5 GEORGE PAPATTI: My name is George Papatti.  
6 And I live in the duck pond neighborhood, right  
7 next to one of the county commissioners, Cynthia  
8 Chestnut.

9 Most people are not aware that, years ago,  
10 when Koppers was using creosote, that the odors  
11 occasionally wafted into our neighborhood. And  
12 after several times experiencing this, I called  
13 the plant up at midnight and intentionally tried  
14 to catch the employees off guard. And I said:  
15 Why did you turn off your scrubbers? And the  
16 gentleman who answered, apparently, was one of  
17 the workers. Well, apparently wasn't paid very  
18 well, judging from the way he was speaking. He  
19 said that he was told to turn the scrubbers off.

20 So, for the record, I'd like to remind people  
21 that industries that are heavy polluters  
22 generally play hardball and are very much in  
23 denial of things that in public they make  
24 statements: Well, we're responsible citizens, we  
25 care about the community that we operate in.

1 That is apparently not true.

2 There are companies that are progressive, and  
3 then there are companies that know full well that  
4 it's going to be a huge, costly, uphill battle to  
5 operate responsibly, and they play dirty. And  
6 Koppers was like that.

7 Regarding one of the residents who just  
8 talked about multiple sclerosis. In looking at  
9 adverse health impact data, I unmasked a lot the  
10 of materials. And one of the papers that I found  
11 identified the high incidents of neurological  
12 disorders associated with EPA superfund sites.

13 It's easy to find this now. Back when I got  
14 this information, I had to spend until the wee  
15 hours of the morning at the university library,  
16 when I could stay there, and gather this  
17 information. Now, with the Internet, it's open  
18 for everyone to get. So, be aware about MS and  
19 neurological issues.

20 My question -- one of my questions about  
21 capping the toxic source area on the property  
22 with soil and concrete seems -- I find it  
23 impossible to imagine that the EPA would want to  
24 do this, knowing now, with recent information  
25 that there are fissures in the Hawthorn groove.

1 There's no tub. It's just a barrier wall has  
2 been mentioned. I'd like to voice that concern.

3 I also want to remind them, before they  
4 proceed any further, that they need to devote an  
5 equal amount of time to the concept of relocation  
6 of residents. Because, if they don't, it's a  
7 violation of the law regarding feasibility  
8 studies.

9 And my last comment regards a memorandum  
10 submitted or circulated July 22nd of 2010 by the  
11 EPA. It was an EPA form, and it stated that  
12 achieving environmental justice is an agency  
13 priority and should be factored into every  
14 decision.

15 The memorandum defines environmental justice  
16 as the fair treatment and meaningful involvement  
17 of all people, regardless of race, national  
18 origin, or income, in the formulation of rules  
19 and implementation of cleanup processes.

20 This cleanup process, of course, has taken  
21 well over 20 years. In response to learning of  
22 this fact, the director of EPA's superfund, when  
23 asked by (inaudible) commented, and I quote:

24 Community residents should be angry for how long  
25 this is going on and how long they have waited

1 for their cleanup, end of quote.

2 That failure is unfair treatment, I might  
3 add. That shows a complete lack of meaningful  
4 involvement, and our Region 4 EPA administrators  
5 are not only failing to follow their own  
6 directives on environmental justice, they're not  
7 acting in a way that -- they're acting in a way  
8 that contradicts the spirit of that mandate.

9 Final question. I ask the Region 4 EPA  
10 administrators to request from Mr. Stancil an  
11 in-service workshop to remind them about their  
12 obligations.

13 SUSAN FAIRFOREST: Hello. My name is Susan  
14 Fairforest. And I'm a board member with the  
15 Stephen Foster Neighborhood Protection Group.

16 The Stephen Foster Neighborhood Protection  
17 Group would like to remind the EPA that  
18 neighboring residents, you refer to us as  
19 recipients, I guess we're the recipients of the  
20 poison, that neighboring residents had no part in  
21 contributing to, endorsing or encouraging the  
22 hazardous pollution that now lies within our  
23 yards and inside our homes adjacent to the site.

24 The feasibility study and all tasks leading  
25 to its creation failed to recognize the degree to

1 which residents have been impacted by this  
2 contamination.

3 Mr. Miller, I wish you'd look at me when I  
4 talk to you. Thank you.

5 Stephen Foster Neighborhood Protection Group  
6 implores the EPA to take the concerns of the  
7 community seriously and factor them into their  
8 remedial alternative selection.

9 The Stephen Foster Neighborhood Protection  
10 Group expects the EPA to use its full authority  
11 under the law to protect the environment and the  
12 health of the citizens most impacted by this  
13 ongoing tragedy.

14 The responsible party should be required to  
15 step up to the plate and return some of the  
16 profits made at the expense of a wounded  
17 community, and pay for the cost to clean up our  
18 contaminated homes, the insides, as well as the  
19 outsides. This must be a priority over the  
20 pondering of soil cleanup methods that are  
21 inherently deficient, such as an approach that  
22 will not address the immediate issue of  
23 protecting our health and welfare.

24 We want our way overdue environmental justice  
25 now. Enough is enough. Gainesville residents



1 deserve better from our environmental protection  
2 agency.

3 No dioxins or permanent hazardous waste site  
4 for Gainesville. Relocate affected residents.

5 And this part is my personal comments.  
6 Digging up my gardens and trees, destabilizing my  
7 house on the creek bank and letting it slide into  
8 the creek by removing two feet of soil, and  
9 leaving the inside of my home with toxic levels  
10 is not a satisfactory remedy.

11 I want to be compensated for the value of my  
12 property so that my family can be relocated. And  
13 I don't think leaving it up to Beazer to cut a  
14 deal with me over relocation is going to work in  
15 my benefit. Relocate affected residents. You  
16 make sure it gets done.

17 Dig it up, clean it up, and haul it away.  
18 Thank you.

19 MS. SPENCER: Our court reporter is out of  
20 tape. We also have no audio/visual. So, the  
21 additional comments, if there are more additional  
22 comments, please note that you can email Scott or  
23 you can email me. You can mail them into the  
24 environmental protection agency. Their address  
25 and information is in the proposed plan.

1           And, please, remember that the end of the  
2           comment period is not over. So, you still have a  
3           opportunity to comment.

4           Thank you guys for being respectful tonight.  
5           Thank you for coming.

6           (Whereupon the meeting concluded.)

7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

STATE OF FLORIDA  
COUNTY OF ALACHUA

I, Cynthia F. Leverett, Court Reporter, do hereby certify that I was requested to and did attend the public information meeting on the aforementioned date for the purpose of stenographically recording the proceedings.

I further certify that the foregoing pages, numbered 1 through 122, are a true and accurate record of the meeting as derived from my stenographic notes taken at the time and place indicated herein.

Dated this 28th of September, 1020.

  
Cynthia F. Leverett, Court

